

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CEP REGULAR MEETING
SONGS ENVIRONMENTAL STEWARDSHIP
Laguna Hills, California and
Via Microsoft Teams

TRANSCRIPT OF MEETING
March 23, 2023

Reported by:
Denise Herft, CSR #12983
Assignment #5698376
Pages 1 - 136

1 SAN ONOFRE DECOMMISSIONING
2 COMMUNITY ENGAGEMENT PANEL MEETING
3 STATE OF CALIFORNIA, COUNTY OF ORANGE
4
5
6
7
8

9 Transcript of video-recorded meeting,
10 Laguna Hill, California and via Microsoft Teams
11 commencing at 5:31 p.m., Thursday, March 23, 2023.
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 COMMUNITY ENGAGEMENT MEMBER ATTENDEES:
2 CEP CHAIRMAN - DR. DAVID G. VICTOR (Via Teams)
UNIVERSITY of CALIFORNIA, SAN DIEGO
3
4 CEP SECRETARY/TRUSTEE - HON. MARTHA McNICHOLAS
CAPISTRANO UNIFIED SCHOOL DISTRICT BOARD OF
TRUSTEES
5
6 VICE CHAIRMAN/TRUSTEE-EXECUTIVE DIRECTOR - DAN
STETSON, THE NICHOLAS ENDOWMENT
7 MICHELLE ANDERSON - ORANGE COUNTY SHERIFF'S
DEPARTMENT, EMERGENCY MANAGEMENT INTERIM DIRECTOR
8
9 CAPTAIN MEL VERNON - SAN LUIS REY BAND of MISSION
INDIANS
10 ROB HOWARD - CITY OF OCEANSIDE REPRESENTATIVE
11 GARRY BROWN - PRESIDENT/CEO - ORANGE COUNTY
COASTKEEPER
12
13 CHRISTIAN ABUEG - ALTERNATE FOR LISA BARTLETT,
ORANGE COUNTY SUPERVISOR, 5th DISTRICT
14 SCOTT KIBBEY - CALIFORNIA STATE PARKS, SOUTH
SECTOR SUPERINTENDENT
15
16 MARNI MAGDA - SIERRA CLUB
17
18 HON. JOHN TAYLOR - SAN JUAN CAPISTRANO CITY
COUNCIL
19 MICHAEL FROST - ALTERNATE FOR MICHAEL VILLAR -
DANA POINT CITY COUNCIL
20
21 SAM JAMMAL - CAMP PENDLETON
22
23 SOUTHERN CALIFORNIA EDISON SCE REPRESENTATIVES:
24 DOUG BAUDER - CHIEF NUCLEAR OFFICER (CNO)
25
26 VINCENT BILOVSKY - DIRECTOR DECOMMISSIONING
PROJECT
27 RON PONTES - GENERAL MANAGER, ENVIRONMENTAL/WASTE
AND RADIATION PROTECTION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

SCE TECHNICAL SUPPORT PRESENTERS:
MANUEL CAMARGO - Strategic Planning & Stakeholder
Engagement

JULIA MARTINEZ - Presentation Slides

JERRY STEPHENSON - ISFSI ENGINEERING MANAGER

PUBLIC COMMENT PERIOD

PAGE	LINE
------	------

83	8
----	---

1 Laguna Hills, California, and Microsoft Teams,
2 Thursday, March 23, 2023

3
4 CHAIRMAN DAVID VICTOR: My name is David
5 Victor, and I'm the volunteer chair of the
6 Community Engagement Panel and today is Thursday.
7 March 23rd. This is our first quarter CEP meeting
8 for 2023.

9 I want to remind everybody that, as is
10 our custom, these meetings are being recorded.
11 This meeting is being recorded. It will be posted
12 online after the meeting.

13 With the reduction in the COVID-19 risk
14 factors and some shifts in the health and safety
15 protocols for in-person meetings at Southern
16 California Edison, we're partially back in person
17 with a hybrid meeting. I'm not announcing the
18 pandemic is over, but it's kind of ending or
19 slowly ending.

20 So we have some of us joining virtually,
21 some of us joining in person, and Dan Stetson I
22 want to thank him for splitting the chairing
23 duties tonight, because I'm going to begin the
24 meeting by chairing and hand the chairing over to
25 Dan. It will be a little easier for him in the

1 room, and I'm very much grateful to him for his
2 willingness to do that. And I want to thank you
3 and general members of the public for joining us
4 tonight.

5 Please be patient with us as we try to do
6 yet another new thing with a new format and with
7 the hybrid approach and give us some feedback
8 along the way what you think is working and not
9 working.

10 Unchanged in all of this is the role of
11 the Community Engagement Panel in the
12 decommissioning process, which is public
13 engagement.

14 A draft presentation was posted last
15 Thursday, so a week ago the 16th of March as a
16 preview, also posted on songscommunity.com. I
17 want to thank Julia Martinez from SONGS for
18 running the slide show for us. Julia, thank so
19 much for doing that.

20 If we go to the next slide, I want to
21 show you the agenda for tonight. It's a pretty
22 busy agenda. First we're going to have some brief
23 general community updates, and then we're going to
24 hear about the coalition with its new abbreviated
25 name. I want to thank the coalition for

1 abbreviating its name. It's now called Spent Fuel
2 Solutions. In fact, Supervisor Jim Desmond who
3 has been with the coalition, the SFS Coalition, as
4 it's now called since the beginning, he is with us
5 tonight. I saw him earlier because both he and I
6 were rocking out to the same music, so I want to
7 thank Jim for being with us.

8 He's going to say a few words about where
9 the coalition is and what it's doing and some of
10 its contributions.

11 We're also going to get a readout on the
12 coalition's webinar actually this morning, which
13 featured representatives from Canada, Finland,
14 Sweden as they talk about their spent fuel
15 programs. Other countries are making progress.

16 After that we're going to get an update
17 from chief nuclear officer, the CNO at San Onofre
18 Doug Bauder about where the decommissioning
19 process is. And then decommissioning project
20 Director Vince Bilovsky is going to discuss the
21 contamination and dismantlement project that is to
22 my amazement halfway complete.

23 And then following those updates on the
24 plant, which we do every meeting, we're going to
25 shift over to the central theme of tonight, which

1 is environmental stewardship, and we're going to
2 hear from environmental general manager Ron
3 Pontes, who is going to cover quite a bit. I'm
4 not going to go into detail on all the things he's
5 going to cover, but issues related to regulatory
6 oversight and monitoring the natural environment
7 around the plant, including the so-called
8 exclusion area boundary, the renewal of the
9 discharge permit and some issues surrounding
10 liquid waste cleanup and batch releases, which I
11 know is the topic on many people's minds.

12 We'll also have an update on the Wheeler
13 North Reef and San Dieguito Wetlands Restoration
14 projects and see how they're going, what's working
15 and what's not working.

16 I want to say for members of the CEP, Dan
17 and I welcome your comments during the
18 presentations. Dan will pause periodically and
19 solicit views and if people want to say anything
20 and so on.

21 For the general public we have, as is
22 always, at least an hour fully dedicated to public
23 comment, and you can sign up for the public
24 comment opportunities.

25 And with that, what I'm going to do is

1 hand the floor over to Vice Chair Dan Stetson, who
2 is there in person in Laguna Hills, which frankly,
3 I'm sure is much more delightful than here in
4 Washington DC which is overcast, dull and full of
5 people from Washington and hand it over to Dan
6 Stetson who is going to chair the rest of the
7 meeting, and I'll come periodically here and
8 there.

9 Dan, the floor is yours.

10 DAN STETSON: Thank you, David.

11 I'd like to welcome everyone this evening
12 both in person and online, and David, I'm sorry to
13 say -- happy to say that we've got blue skies
14 coming, the clouds are retreating and the next
15 couple days are going to be just perfect here.

16 CHAIRMAN DAVID VICTOR: It's going to
17 start raining here in Washington. Thanks a lot
18 for the update.

19 DAN STETSON: Happy to rub it in.

20 First of all, I really want to thank the
21 folks that are the audio/visual team. Three years
22 ago, as I'm sure you know, all of a sudden we had
23 COVID, and we went into this hiding area, and I
24 didn't even know what Zoom was at that time. For
25 the last three years we've been working on Zoom,

1 and we actually became pretty comfortable with it
2 and having meetings and they seem to work okay.
3 Now all of a sudden we're back in person and also
4 online, and with that, with these hybrid meetings,
5 I've got to hand it out to these guys, they're
6 doing great in terms of managing the complexities
7 of doing it both virtually and online. Once
8 again, thanks to everybody on the audio/visual
9 team.

10 First of all, I would like to say a few
11 things in terms of some updates: We've had this
12 fall election cycle, and we've had some changes to
13 the CEP. We first want to thank County Supervisor
14 Lisa Bartlett for her services on the committee.
15 I first met Lisa years ago, she was one of our
16 sand dollars when I was at the Ocean Institute,
17 and then she went onto become a city council
18 member, and we all know she became a county
19 supervisor.

20 She's really done a lot for the
21 community. For those of you who don't know, Lisa
22 is also -- her hobby is jewelry, and the little
23 gold sea star that I'm wearing right now is -- she
24 made that. So if you every need something like
25 that, be sure to find Lisa.

1 So we want to thank Lisa, we also would
2 love to thank Christian Abueg and Pauline Colvin
3 who participated as alternates for Supervisor
4 Bartlett. We would also like to sincerely thank
5 San Clemente Mayor Chris Duncan and alternate
6 Laura Ferguson, Dana Point Mayor Michael Frost.
7 We would also like to welcome our new appointees
8 from the CEP from local government.

9 First of all, we would like to welcome
10 Orange County Supervisor Katrina Foley and her
11 alternate who is here Alyssa Napuri.

12 And I have to say you guys have done a
13 great job of jumping in with both feet, and I'm
14 especially proud of you learning all the acronyms
15 that are --

16 ALYSSA NAPURI: We do not know all the
17 acronyms, but we're getting there.

18 DAN STETSON: To the left me I would like
19 to also welcome San Clemente Council Member Victor
20 Cabral and his alternate member Mark Enmeier, who
21 is here as well.

22 Finally, I would like to welcome Dana
23 Point Council Member John Gabbard and newly
24 appointed alternate for Michael Villar.

25 David, I think you would like to give an

1 update with reference to some of the spent pool
2 policies, which have been happening recently.

3 CHAIRMAN DAVID VICTOR: I want to thank
4 you very much that. I want to mention that we in
5 this panel since the very beginning have
6 recognized that we want to move the spent fuel out
7 of here. We want to do a lot of things. We want
8 to make sure a lot of things happen. And the
9 community is engaged. It's a two-conduit and
10 we're informed what's going on at the plant, and
11 we help shape what's going on at the plant. We
12 want to make sure things are done safely. We also
13 want to really pay close attention when things
14 aren't done safely, and that's happened a couple
15 times.

16 But the long term here especially now
17 that spent fuel is all out of the pools, the last
18 of the most radioactive materials is going into
19 these canisters, the long term that really matters
20 here is moving the spent fuel out. We can't do
21 that on our own. We can't put that up on Ebay and
22 have somebody take it away or send it by FedEx to
23 someplace. We need to change in federal policy,
24 and that means we need help, political help.

25 We've had a tremendous support from local

1 congressional delegation and from the senate side.
2 I want to thank -- particularly call out Scott
3 Peters and Mike Levin who have been enormously
4 helpful in so many different ways.

5 But we can't with California votes alone
6 change federal policy. We realized in order to do
7 that we needed some help from the industry and we
8 also need other communities like ours to get
9 better organized. There are a lot of communities
10 in various ways, they have different interests and
11 so on, they are all around the country but they
12 don't know each other, they're not organized.

13 We, Dan and I, co-chaired with a lot of
14 other people a meeting, first meeting of its kind
15 a few days ago March 20th, a spent fuel policy
16 working group meeting. We put together some
17 must-haves, some must-not-haves and some like
18 nice-to-have items in terms of federal
19 legislation. We had a terrific conversation about
20 that with benefit of Tom Isaacs who is known to
21 this panel very well and other people around what
22 is really essential in federal legislation, how do
23 we get ourselves organized.

24 The outcome of that was a lot of
25 enthusiasm for more organization here. People may

1 remember a year ago Jennifer Granholm was at the
2 San Onofre plant. We asked her if they could
3 organize a meeting to help us bring the
4 communities to Washington to talk to folks in the
5 hill and to talk with each other in person, that's
6 going to happen, and when the time is right.

7 I'm here in Washington right now on a
8 meeting on the Future of Energy Innovation.
9 Secretary Granholm is here, a bunch of other
10 people, Neil deGrasse Tyson is here. A lot of
11 people are interested in energy these days. We
12 got to get ourselves organized. That's what we're
13 trying to do in this working group.

14 The outcome of that is there's going to
15 be a text that is a chairman's draft or summary of
16 the things we talked about turned into concrete
17 principles that can be turned into legislation,
18 and then use that as talking points for different
19 communities as they talk to their members of
20 congress, both in Washington and back at home.

21 So that's the update on the spent fuel
22 policy. I want to go to the next slide.

23 I want to pass the floor back to Dan but
24 pause for a moment and see if anybody has any
25 comments or questions with regard to what we're

1 trying to do getting other communities around the
2 country organized with us to put a more concerted
3 pressure on congress.

4 DAN STETSON: Thank you, David.

5 These are just really a few housekeeping
6 rules in how to happen. So for online
7 participation, as always, members of the public
8 have the opportunity to submit questions in
9 advance, and these are going to be the questions
10 that we're first going to deal with when
11 responding after public comment. You have up to
12 two days which you can comment, and right here you
13 see the website you can go on to go ahead and log
14 onto those questions.

15 For those participating in the public
16 comment during the meeting, we would ask that you
17 would submit your written comments or questions or
18 sign up for oral comment in the back. They have
19 some cards which you could fill out, and when the
20 time comes we'll ask you to line up. There's a
21 little piece of tape over there. We'll ask you to
22 line up over by the card.

23 For those of us who are on the CEP, if
24 you would like to ask a question or make any
25 comments during the meeting, just go ahead and

1 raise your card like that or you can start
2 speaking, and we'll go ahead and get you going in
3 there.

4 It gets a little tricky when you're
5 logging in participating over the computer. If
6 you're a CEP member and you want to speak, you can
7 raise your hand icon under the reactions at the
8 top part of your screen so we can identify you as
9 a presenter.

10 For CEP members who happen to join late
11 and who may be unable to see your name change to
12 your status from a guest to a presenter, we need
13 you to do that in order for you to become present
14 so we can log you on. We need you to raise your
15 hand or the icon, and we'll see that and make you
16 a presenter so we can bring you so you can speak.

17 For CEP members calling in, to open and
18 close your microphone, please use the star 6 and
19 stay muted until you are asked to speak.

20 To raise your hand using a microphone,
21 use star 5. We'll make notes on those and review
22 those again when we get back a little bit later.

23 For CEP members in the room, lift up your
24 card. For reference material, there's materials
25 here and also on your seats.

1 Now we'll move on to the next slide, if I
2 may.

3 And it's my honor to introduce Senator
4 Jim Desmond from San Diego's 5th County District,
5 who's going to give us an update on the Spent
6 Fuels Coalition as the co-chair.

7 Supervisor, the chair is yours.

8 JIM DESMOND: Thank you, Dan. I'll take
9 the senator title here it's close, but it's the
10 county supervisor, but I like your idea better.

11 Thanks everybody for being here today.
12 I'm pleased to give you an update on behalf of the
13 Spent Fuel Solutions, formally known as the name
14 that nobody could pronounce, so it's now Spent
15 Fuel Solutions. There's several exciting
16 developments in the spent fuel area.

17 And I also want to begin by acknowledging
18 Orange County Supervisor Katrina Foley. Her and I
19 were actually on a Zoom this morning at 8:00 a.m.,
20 and talking with folks from Sweden and Finland and
21 Canada who are dealing with these same types of
22 issues, and we're learning how some of them have
23 progressed and some have not, but she's graciously
24 agreed to serve on the Spent Fuel Solutions
25 executive board as we continue our efforts to

1 hopefully secure offsite solutions for the spent
2 fuel there at SONGS.

3 We appreciate Supervisor Foley's
4 commitment to this important issue, and I look
5 forward to meeting with her other than on Zoom.

6 As you know the Department of Energy
7 announced the funding opportunity last year for
8 communities that were interested in learning more
9 about spent fuel storage. The funding will
10 provide communities with the resources to explore
11 consent-based siting, spent fuel management, and
12 interim storage siting considerations.

13 Basically these are for communities who
14 might be interested in doing storage on site or
15 near their communities on a consent basis. So the
16 Department of Energy originally planned to provide
17 \$16 million as part of this opportunity for cities
18 and communities to explore these options.
19 However, the appropriations bill passed late last
20 year, allowed them to increase this amount to
21 \$26 million. So that's good news.

22 Applications were due this January 31st,
23 and the Department of Energy expects to announce
24 about 6 to 16 awards of this money that's
25 basically going to allow them to look at the

1 feasibility of potentially becoming a site, the
2 storage facility, either interim or permanent.

3 We also want to provide a few updates on
4 the changes in congress. Representative Mike
5 Levin, his Spent Fuel Solutions caucus continues
6 to play an important role and discussions on spent
7 nuclear fuel at the federal level. He's following
8 the recent election cycle, Representative Levin
9 now is a new cochair of the caucus with Tennessee
10 representative, Chuck Fleischmann serving in this
11 position.

12 We're excited to see this caucus continue
13 to grow and appreciate Congressman Levin's
14 ongoing leadership in a bipartisan fashion on this
15 issue in congress.

16 In addition, Representative Cathy
17 McMorris Rogers from Washington State is serving
18 as the new chair of House Energy and Commerce
19 committee.

20 Finally, I'm happy to announce that our
21 coalition webinar series is going to continue into
22 2023. We held our first webinar with Dr. Kim
23 Petry, the Department of Energy's acting associate
24 department assistant secretary -- there's a long
25 title -- for the office of spent fuel and waste

1 disposition at the federal level.

2 And then this morning, as I mentioned,
3 the Spent Fuel Solutions we're pleased to host or
4 second webinar, which was done this morning. And
5 as I mentioned, it was folks from Canada, Canada
6 is kind of the -- the Canadians are pretty much in
7 the same, you know, position that we are in
8 looking for sites.

9 They've done quite a bit of outreach and
10 try to get buy in, and they're doing a lot of
11 outreach in the community. Sweden they've
12 identified two sites already for their spent
13 nuclear fuel, and in Finland they're very, very
14 close to implementing their fuel -- spent fuel
15 management programs.

16 It was great to hear people from around
17 the world that are in the same position and
18 they've also made some progress. So if you
19 weren't able to join us, you can still watch the
20 panel discussion -- it was very good -- at
21 spentfuelsolutionsnow.com/events. We also
22 encourage you to keep an eye on the Spent Fuel
23 Solutions Now web page for future webinars. We
24 will try to put that up and help educate the
25 public and hopefully getting buy in from

1 communities and letting them know about the
2 opportunities out there, and hopefully we'll make
3 some progress and find a site.

4 Senator Desmond is going to sign off
5 here. Thank you very much.

6 DAN STETSON: Thank you so much future
7 Senator Desmond.

8 I wonder if there are any questions from
9 the CEP panel for the future senator. If not,
10 we'll go ahead and move on. And if we could move
11 on to the next slide, please.

12 Now I'd like to introduce Doug Bauder,
13 vice president and chief nuclear officer whose
14 going to give us a big picture.

15 DOUG BAUDER: Thank you, Dan. I
16 appreciate it. It's great to be here in person
17 post COVID. Great.

18 Yeah, every meeting we'll talk to the
19 same set of principles: Safety, stewardship and
20 engagement. Now on safety as the nature of
21 decommissioning work changes, you can go to the
22 songscommunity.com website and look at updates
23 that we provide, both in industrial and
24 radiological safety. It is the number 1 important
25 thing to move the project forward and effectively

1 complete the decommissioning.

2 In stewardship this time around you'll
3 hear me say a few words about our three-year
4 process called the Nuclear -- Triennial Nuclear
5 Decommissioning Trust Review Process, and I'll
6 talk to that from a few slides from now.

7 Also, for this meeting Ron is going to
8 address some key areas in the area of
9 environmental stewardship.

10 Then in engagement, once again, we're
11 happy to be here. It's great to do these
12 meetings. It follows one of our core principles,
13 and also just as a reminder, many of you know this
14 already, you can go to the songscommunity.com
15 website and see when the next tours are available.
16 For example, we just conducted a tour on Saturday,
17 March 18th, less than a week ago. We'll have
18 another one public walking tour on Saturday,
19 April 15th.

20 We look forward to that. We know that
21 tours and visits to the site are some of the most
22 important things that we can do from an engagement
23 standpoint.

24 Resources, in addition to the quarterly
25 flyers we send out, we also post lots of updates

1 to the website. If you have any questions, you
2 can go to the website and you can e-mail us
3 directly through nuccomm, it's a nuccomm e-mail
4 box but just click on the link, and we'll do the
5 best to answer the questions that you have.

6 You can also get a closer look at the
7 decommissioning process itself. You can look at
8 detailed pictures, things that are happening,
9 which line up a lot with what you'll see here
10 tonight in the meeting.

11 Next slide, please. I know we said
12 already, it's great to be back in person. We're
13 able to do this because we've progressed in our
14 COVID protocols. We were thinking about the
15 hybrid meetings last year throughout the year and
16 toward the end of the year, we were able to
17 actually do a hybrid meeting, but it would have
18 required validations and testing. We thought well
19 that's really cumbersome for the members of the
20 public to have to go through that. Here we are,
21 no testing required to be here, and we're happy to
22 have you all, and I know that the in-person
23 audience is thin. We hope to grow that throughout
24 the year. So if you're here and one of the few
25 members of the public in the in-person audience,

1 you're honored, we're honored to have you here.
2 Thanks for that.

3 Next slide. The decommissioning trust
4 process there's a lot of words on this slide.
5 Basically it's a three-year process that we go
6 through. It does two things: It validates the
7 adequacy of the trust for San Onofre
8 decommissioning, which is adequate, and the second
9 big thing it does it looks at -- in the past, it
10 looks at the past three years of our spend against
11 what we told the California Public Utilities
12 Commissions we would do.

13 And so we go through a process where we
14 actually testify. I testified, Vince here
15 testified, and members of our staff testify as to
16 the reasonableness of our spend, the progress in
17 decommissioning and things like that. It's
18 actually quite a formal process. It's actually
19 adjudicated by an administrative law judge. We go
20 through and eventually receive a preliminary
21 decision, and that's decision is certified by a
22 full vote of the California Public Utilities
23 commission.

24 So if you go to the next slide please.
25 This is the timeline. So it really started last

1 year. I indicated we went through our testimony
2 period. That's called evidentiary hearings, and
3 then we are through our briefing period. We're
4 right now on the position where we're waiting for
5 preliminary decision and then the certification of
6 a final decision.

7 So some of you are aware of the NDCTP,
8 because you've seen articles about it, and I just
9 wanted to share that as sort of the details and
10 nuts and bolts behind it.

11 Sorry for confusing you on the slides.
12 Next slide, please.

13 DAN STETSON: Doug, before you leave, can
14 I ask a quick question with reference to that,
15 please?

16 DOUG BAUDER: Sure.

17 DAN STETSON: So as you went through the
18 process, so right now does it appear that
19 everything is on budget and that there's enough
20 money in the fund to cover the planned
21 expenditures for the remainder of the
22 decommissioning?

23 DOUG BAUDER: That's right.

24 DAN STETSON: Here it says that there was
25 an intervener testimony, what does that mean?

1 What do they --

2 DOUG BAUDER: So just like when in a
3 structured utility environment we do general rate
4 cases --

5 DAN STETSON: Okay.

6 DOUG BAUDER: -- for funding projects we
7 want to go out in the Edison system. The NDCTP or
8 Nuclear Decommissioning Trust process allows
9 interveners to testify to the commission as to the
10 things they think we shouldn't have spent money on
11 or potentially looking forward with the
12 decommissioning cost estimate, things that we
13 shouldn't spend money in the future.

14 We encourage the process. It's healthy.
15 There's healthy dialog at the hearings. The
16 administrative law judge gets to hear both sides
17 of the story, and there's obviously a process
18 followed and so, yeah, we spent a lot of time
19 actually addressing concerns and comments that
20 interveners may have in the NDCTP process.

21 DAN STETSON: Thank you very much.

22 DOUG BAUDER: Okay. Go to work streams,
23 please.

24 DAN STETSON: David has a question.

25 CHAIRMAN DAVID VICTOR: Mostly I wanted

1 to see whether the system was working for raising
2 my hand, it does seem to be the working.

3 That success on that front, I want to ask
4 you, Doug, thank you for this update.

5 Can you talk a little bit about the
6 inflation and the rest of the economy. We see a
7 lot of inflation also rising costs of capital, how
8 much does that affect the overall costs of
9 decommissioning and how robust is the budgeting?

10 DOUG BAUDER: Inflation does affect the
11 cost of decommissioning. We're continually
12 evaluating that. We look at two things: We look
13 at the growth of the trust as an investment
14 vehicle, and then we also look at escalation,
15 which is captured by inflation.

16 The decommissioning contract has
17 provisions for inflation in it with respect to
18 labor, rental equipment, and all sorts of
19 categories. We do have a pretty detailed study on
20 that. Also, just as a general concept around the
21 trust, we're in what we call phase 2 of
22 decommissioning now, which is physical
23 dismantlement of structures at the site.

24 Then we'll go into a period where we're
25 safely maintaining the fuel on the site, and we're

1 not doing a whole lot. And then once we can
2 safely relocate the fuel offsite, that will open
3 up a process involving the U.S. Navy through the
4 National Environment Protection Act, we call NEPA,
5 and the Navy will make decisions around final
6 restoration.

7 So we have a category of money in the
8 final restoration bucket that we'll utilize years
9 out. Before we utilize it to, you know, obviously
10 David it's collecting -- it's gaining in terms of
11 trust value as an investment vehicle. We look at
12 all that. Basically it's escalation of costs
13 compared to the expected investment return.

14 CHAIRMAN DAVID VICTOR: Okay. Thank you
15 very much.

16 DOUG BAUDER: Major work streams:
17 Above-ground structures is really where most of
18 the work is at now. We're about halfway down.
19 Vince will update us further on in the meeting
20 here and then the numbered -- the second item
21 there, safely managing the fuel on site. That is
22 really important to us. It's vital to what we do.
23 And three, advocating for offsite storage.

24 These three you've seen before, but these
25 really address what we're doing right now through

1 the decommissioning from a broad sense.

2 DAN STETSON: Doug, with reference to
3 that, a few months back there was an injury where
4 one of the workers, didn't seem to be a serious
5 injury, is that person fully recovered, and has
6 there been any other serious accidents since that
7 time?

8 DOUG BAUDER: I think by saying a few
9 months back, you mean actually April of last year?

10 DAN STETSON: A year ago.

11 DOUG BAUDER: A year ago, yeah, actually
12 it's been a year. A year ago we had two workers
13 who were wearing a safety restraint system, they
14 fell, the system had deployed like it's supposed
15 to, they did not -- it was into a vault area, they
16 were pulled out. One worker was fine and went
17 right back to work, and another worker needed
18 additional care, and it's my understanding that
19 worker is doing fine. I don't think that worker
20 has returned to work yet, just based on personal
21 decisions, but I believe that that worker is doing
22 okay.

23 DAN STETSON: Okay.

24 DOUG BAUDER: And has fully recovered.
25 That was a serious injury in our serious injury

1 category. We haven't had a serious injury since
2 that time.

3 DAN STETSON: Thank you very much.

4 DOUG BAUDER: Okay. To hand off to Vince
5 or any other questions for me?

6 VINCE BILOVSKY: Okay. Good evening. I
7 always like to start these CEP updates with a few
8 words about safety, because it remains our top
9 focus during decommissioning. And those of you
10 who participated in previously CEP meetings may
11 recall we often talked about something called
12 defense-in-depth.

13 In the past we talked about a lot about
14 defense-in-depth as it relates to the physical
15 aspects of spent fuel storage, and that's really
16 important.

17 Also, if we go back to the days when
18 SONGS was operating, the plant equipment and our
19 procedures were fortified by defense-in-depth
20 design features. That means we had an intentional
21 design for component structures, systems and
22 processes where they were built with independent
23 layers of protection. So if one of those layers
24 failed, the other protective layers were in place
25 to ensure safety. And certainly that applies to

1 mechanical means.

2 But defense-in depth also applies to the
3 power of human inspection and oversight. Towards
4 the end of my presentation I'll talk about a
5 recent example where we used defense-in-depth in a
6 human inspection process.

7 So if we can go to the next slide,
8 please. This slide provides an overview of the
9 work activities for the year ahead. I'm going to
10 talk about each of these items as we go through
11 some pictures. If you look at the plant from the
12 outside, it's hard to tell by looking at it, but
13 on the inside of those two containment domes and
14 those adjacent auxiliary buildings, there's a lot
15 of work happening right now. So if you look right
16 in the center of those domes, we've been cutting
17 up and packaging the reactor vessel internals, and
18 that work is going to continue through out the
19 summer.

20 Once that's complete, we're going to
21 start removing the reactor vessels and other large
22 components inside the domes. Inside the buildings
23 between the two domes we're doing all the
24 decontamination and isolations of the energized
25 systems, and that's in preparation of the

1 demolition of those buildings. That work should
2 be starting in the first half of next year, the
3 demolition portion of it.

4 Part of the decommissioning work includes
5 the removal of the fuel racks that were used to
6 store the spent fuel before it was transferred
7 over to the ISFSI nearly three years ago.

8 Now, the outside work over the next few
9 months is going to include the demolition of the
10 unit 3 turbine building. It's going to be
11 completing the final status service of the intake
12 structure and then backfilling it with concrete,
13 and we're going to continue to do a whole lot of
14 waste shipments.

15 I was talking to Rick Calman before the
16 meeting and we're looking at shipping over 500
17 rail cars in just the first half of this year.

18 We can go to the next slide now. Thanks.
19 This map shows the demolition progress. The phase
20 of decommissioning that we're in right now it
21 includes all of the demolition of the above ground
22 structures and as it's been mentioned, we're about
23 halfway through with that. All these areas in
24 black, that are shown in black on the map, those
25 are the buildings and structures that have already

1 been taken down. That area in blue, that's what
2 remains of the unit 3 turbine building, and right
3 next to it on the left is where the unit 2 turbine
4 used to be, and now that's gone as of the
5 beginning of this year.

6 We can go to the next slide, please. I
7 mentioned that one of our major work streams
8 that's happening right now is the segmentation of
9 the RVI, which stands for reactor vessel
10 internals. We made a lot of progress over the
11 past year.

12 The RVI segments are each classified in
13 one of the three low level radioactive waste
14 categories depending on their proximity to the
15 reactors when they were operating. The class A is
16 the lowest, B, C is in the middle, and then
17 greater than class C has the highest level of
18 radioactivity.

19 In these pictures here we're looking at
20 the segmentation of the fuel alignment plate for
21 each unit. Those are the plates. They were
22 located above the reactor core. They were the
23 bottom of the upper guide structure. The cut-up
24 segments that came from these plates are all in
25 the B, C category. They were shipped out to the

1 WCS facility in Anders, Texas. This work here was
2 completed in December for unit 3 and February for
3 unit 2.

4 We can go to the next slide, please.

5 DAN STETSON: Doug, could you give us --
6 pardon me, Vince, could you give us a sense of the
7 scale of the size of that saw.

8 VINCE BILOVSKY: Yeah, the saw blade is
9 36 inches in diameter.

10 DAN STETSON: It's about a yard across,
11 that's a big saw.

12 VINCE BILOVSKY: That's right.

13 CHAIRMAN DAVID VICTOR: Dan, I think
14 Mike --

15 VINCE BILOVSKY: I'm sorry. David, did
16 you have a question?

17 CHAIRMAN DAVID VICTOR: No, I think
18 Michael Villar does.

19 MICHAEL VILLAR: I do, thank you. I
20 apologize for interrupting but for those of us
21 watching via Microsoft Teams, are you sharing your
22 screen? Maybe I'm doing something wrong, but I
23 don't see it.

24 CHAIRMAN DAVID VICTOR: I think, Michael,
25 what you need to do is pin the -- they are sharing

1 the screen. Try the gallery view or full screen
2 view I'm not sure.

3 MICHAEL VILLAR: Will do. Sorry about
4 that.

5 CHAIRMAN DAVID VICTOR: No worries.

6 VINCE BILOVSKY: So this picture here is
7 showing the segmentation of a different RVI
8 component called the core shroud. That's the
9 structure that immediately surrounds the reactor
10 core. This is the most radioactive material that
11 we have left in the containment domes. And this
12 is classified as greater than class C. This slide
13 here shows the progress that was made in unit 2
14 between November, which is shown on the left and
15 then in January, which is shown on the right.

16 At this point the core shrouds have been
17 completely segmented in both units. When it comes
18 to GTCC, you never want to stand close to any GTCC
19 material without having adequate shielding between
20 you and that material, because you want that
21 shielding to block the radiation.

22 In this case that shielding is about
23 25 feet of water. Before we remove the segments
24 out of the water, they're placed into thick metal
25 containers.

1 And that brings me to the next slide
2 which shows the initial process for removing and
3 storing greater than class C waste. Before I get
4 into what's on these pictures here, I'll mention a
5 few more things about greater than class C waste.
6 From now on I'm going to call it GTCC.

7 So GTCC is not spent nuclear fuel but
8 like spent nuclear fuel there's currently no place
9 to ship it to. The class A waste goes to Clive
10 Utah, the B, C goes to Anders, Texas, but that
11 GTCC is going to stay on site for now and go into
12 the ISFSI facility. That's in the same concrete
13 horizontal storage module system where we store
14 about a third of the spent fuel assemblies.

15 We currently have three GTCC canisters
16 loaded on the ISFSI. One came from unit 1 back
17 when that unit was decommissioned, and another
18 came from each of the spent fuel buildings from
19 units 2 and 3, and we transferred those over last
20 summer.

21 DAN STETSON: Vince, real quickly, this
22 says that it's a GTCC liner, is it a canister
23 similar to the other canisters, about the same
24 thickness, the same material that was used to
25 store the rods?

1 VINCE BILOVSKY: Approximately. So this
2 liner is actually somewhat thicker. The design
3 for these GTCC containers are really a concentric
4 canister within a canister. So this one is about
5 the liner which is the initial canister that's
6 loaded with the pieces is about one and a quarter
7 inch thick wall, yeah.

8 DAN STETSON: It's actually quite a bit
9 thicker than the other canisters?

10 VINCE BILOVSKY: Right. And then it goes
11 into a shell which is identical to the shells for
12 spent fuel.

13 DAN STETSON: Okay.

14 VINCE BILOVSKY: It's a container within
15 a container.

16 DAN STETSON: How thick is that?

17 VINCE BILOVSKY: That's 5/8ths of an inch
18 thick.

19 DAN STETSON: And then filled with helium
20 and with the top welded on?

21 VINCE BILOVSKY: That's right. You're
22 getting ahead of me.

23 DAN STETSON: Sorry.

24 VINCE BILOVSKY: No, I was going to go
25 over all of that. Yeah, that's actually on the

1 next slide. For this we're showing a GTCC liner
2 that's getting rigged and brought into the unit 3
3 containment building.

4 Then on the next slide here's just us
5 inserting those liners into the reactor cavity
6 area, so they can be loaded with the GTCC pieces.
7 You can see in this case what was remaining of the
8 core shroud at that time over in unit 3, which is
9 on the lower left.

10 And then if you go to the next slide, it
11 shows a loaded, fully loaded GTCC liner on the
12 left, and you can see in the middle that picture
13 there's three of those core shroud pieces and
14 they're surrounded by three core barrel segments,
15 and the core barrel is just the structure that
16 surrounds the core shroud. So these are loaded
17 piece by piece one at a time into the liner.

18 Inside the liner there's some
19 prefabricated compartments, we call them furniture
20 actually, and the furniture is there so the pieces
21 fit tightly in place.

22 The picture on the right is showing the
23 workers putting a cover on the liner while it was
24 being loaded. That's to prevent any unwanted
25 material from getting inside.

1 But to continue on with your question,
2 Dan, once that loaded liner on the left there is
3 filled, the next step is to put a thick lid on top
4 of it, and that's bolted on. Then the full liner
5 is placed into a shell just like the spent fuel
6 canister shells, and that shell is inside a
7 transfer cast. This all done under water, okay.

8 So then that transfer cast, once that's
9 loaded is pulled out of the water and placed in a
10 work platform area placed next to the pool, this
11 cavity, and that's when we start the processing,
12 that processing that involves welding on a second
13 lid and removing all the water. It gets
14 completely dry using a vacuum dry system, and then
15 a third lid is welded on top of that, and then
16 it's ready to be taken out to the ISFSI and
17 transferred into the horizontal storage module.

18 DAN STETSON: And the horizontal, meaning
19 the AREVA horizontal?

20 VINCE BILOVSKY: That's right. The TN
21 AREVA NUHOMS.

22 DAN STETSON: Okay. Thank you.

23 VINCE BILOVSKY: So right now, actually
24 today we're in the middle of processing the first
25 GTCC liner from unit 3.

1 We can go onto the next slide, please.

2 DAN STETSON: Yes, we have a question
3 here.

4 MARK ENMEIER: The wording, the lining, I
5 met some constituents today and when you use words
6 like "lining," they think of like a little plastic
7 lining. When you use words like the "container"
8 they think of oil container.

9 VINCE BILOVSKY: Something that sounds
10 more robust.

11 MARK ENMEIER: Make it sound realistic
12 because they -- people are confused out there in
13 the public many times.

14 VINCE BILOVSKY: Understood. Thanks,
15 good point.

16 So we're moving out of the containment
17 domes now, and we're going into the spent fuel
18 building. Not everything is cut up into small
19 pieces. Here you see a rack coming out of unit 2
20 and that's going to be removed, decontaminated and
21 shipped in one big piece. There's eight racks
22 coming out of each unit.

23 And if you go onto the next slide, this
24 photo here there's a rack that's been wrapped,
25 sealed in an industrial package, loaded onto a

1 tractor/trailer and shipped out to the class A
2 facility in Clive, Utah.

3 So earlier I mentioned that
4 defense-in-depth as it relates to human inspection
5 and oversight, and we saw that in action back in
6 February with the shipment of one of these fuel
7 racks. A team member who was monitoring the
8 preparation for rack shipment noticed that some of
9 the -- little bit of water was dripping from the
10 package, wasn't a lot, ended up being less than a
11 pint all together.

12 So we know the worker is paying really
13 good attention, and we applaud him for spotting
14 that issue. So we opened up the package,
15 confirmed that all the water was removed out of
16 it, and then the rack was repackaged. It was a
17 really good catch. It was early in the process.
18 And before the shipment left the site, there were
19 three additional checking steps so even more
20 defense-in-depth layers were there in the process
21 to identify a potential problem. This worker was
22 really focused on the task at hand --

23 DAN STETSON: Excuse me, Vince, we have a
24 question.

25 MARTHA McNICHOLAS: I have a question.

1 DAN STETSON: Martha, go ahead.

2 MARTHA McNICHOLAS: Yeah, could you go
3 back one slide.

4 So this is class A, so this is the
5 least --

6 VINCE BILOVSKY: That's right.

7 MARTHA McNICHOLAS: So that's why
8 everybody is not in bubble suits and shielding and
9 everything else, that's why it's -- okay.

10 VINCE BILOVSKY: Right, this is in the
11 containment. That's really the only area right
12 now where we -- generally the only area where
13 we're fully dressed out. It is class A waste
14 going to Clive, Utah. It was thoroughly -- that's
15 encapsulate paint that's on there. It was sprayed
16 down good. It's very low activity.

17 MARTHA McNICHOLAS: Thank you. Just
18 clarifying.

19 ALYSSA NAPURI: My question is that I
20 understand that in the future we'll be using rail
21 cars to transport our waste, the less than class C
22 waste; is that correct?

23 VINCE BILOVSKY: That's right. We are
24 using rail cars right now to I think we've
25 probably shipped about a 150 million pounds of

1 class A waste at this point by rail from SONGS to
2 Clive, Utah.

3 ALYSSA NAPURI: Have we experienced or do
4 you anticipate experiencing delays due to the
5 ongoing transfer of the low sand corridor?

6 VINCE BILOVSKY: We haven't yet. We're
7 going to be ramping up our shipments quite a bit
8 in the near coming future here. I think we
9 shipped out 20 rail cars last night and received
10 20 more. Haven't been slowed up.

11 ALYSSA NAPURI: When you ship them out do
12 they go north through Orange County, or do they go
13 south through San Diego?

14 RON PONTES: You want me to answer that?

15 VINCE BILOVSKY: Yeah, go ahead, Ron.

16 RON PONTES: So the rail cars are filled,
17 and then they're held in a rail yard on site until
18 there's a sufficient number of them to be pulled
19 off site. A locomotive arrives at the site and
20 takes them away, takes them south towards a rail
21 yard near Oceanside, and they're stored there
22 until there's a sufficient number of them to be
23 taken on up to Clive, Utah.

24 And they then do travel north again past
25 the SONGS site, through San Clemente, and it finds

1 its way up through Nevada and into Utah to the
2 Clive site.

3 ALYSSA NAPURI: Thank you.

4 RON PONTES: You're welcome.

5 DAN STETSON: Anyone else? Okay.

6 VINCE BILOVSKY: Go ahead to the next
7 slide. One more. Okay.

8 So now we're outside on the southeast
9 area of the plant looking at the unit 3 turbine
10 building, what's left of it, which is about half.
11 And that should be completed this summer.

12 And you can see the gantry crane sitting
13 on the ground there. That crane has already been
14 cut up into manageable pieces and being taken to a
15 recycling facility.

16 But if we go to the next slide, I'm going
17 to show a video of how it got there. So start the
18 video.

19 Looks like an odd way to take down a
20 crane by using a tractor/trailer, or tractor
21 pulling a cable in a 145 ton crane off the turbine
22 building.

23 That's how it's done. From an industrial
24 safety perspective, I'm trying to cut up a large
25 heavy component at heights, that presents a safety

1 risk to workers, so the safer approach is to do
2 exactly what we did here, make sure everybody is
3 out of the way and pull it off the ledge so it can
4 be cut up now while it's sitting on the ground.

5 A lot of engineering analysis went into
6 this process. It went exactly as planned, and it
7 went exactly like it did for the unit 2 crane,
8 which was done a few months ago.

9 I think that's it. If you have any
10 questions?

11 DAN STETSON: I don't see any questions.

12 MARTHA McNICHOLAS: David.

13 DAN STETSON: Pardon me, David. I'm
14 ignoring you.

15 CHAIRMAN DAVID VICTOR: I'm feeling
16 neglected.

17 Quick question on the timing for greater
18 than class C, when do you expect completion of all
19 the greater than class C into the ISFSI?

20 VINCE BILOVSKY: Late summer this year.

21 CHAIRMAN DAVID VICTOR: At that point
22 everything that will ever go into the ISFSI, the
23 spent fuel storage, the greater than class C area,
24 at that point that process will be complete?

25 VINCE BILOVSKY: That's correct. Yeah.

1 CHAIRMAN DAVID VICTOR: Thank you very
2 much.

3 VINCE BILOVSKY: That will be 13 total
4 canisters that will be loaded in there, and
5 they'll be living next to the 123 canisters of
6 spent fuel. So it will sit until the DOE is ready
7 to come pick them up.

8 DAN STETSON: So we see a question from
9 another CEP online. Number 52, are you able to
10 activate your mic?

11 MARTHA McNICHOLAS: I think that's how
12 many people are watching.

13 DAN STETSON: Pardon me, Alice, you're
14 actually going to be one of our guests for the --
15 not for this part but when we do for the public
16 comment. Pardon me.

17 Go ahead and move on to Ron.

18 RON PONTES: Hi, Dan. Thank you.

19 I don't have any neat videos like we just
20 saw there. We're going to talk about
21 environmental stewardship. I'll walk you through
22 a variety of slides here. Let's go to the next
23 slide.

24 I just want to say a few words before we
25 really get rolling here. What you're going to see

1 on the next few photographs about how we care for
2 the environment at the site and the area around
3 the site, and importantly it starts with people,
4 people that are dedicated to their work, and
5 people who know and care about the environment.
6 You're going to see some of those folks on the
7 next few slides.

8 And their job it starts with training and
9 all workers that come to the site, every worker,
10 every worker that's there is provided training
11 about the environmental awareness, and the key
12 objective to that training is to instill into each
13 one of these workers that it's their job to
14 protect the environment, whether it's the air, the
15 water, the soil, plants, or animals around the
16 plant.

17 Here on this slide you see a photo of the
18 California gnatcatcher. This tiny bird it nests
19 in the coastal habitat that's around plant and
20 especially during this time of year. And we
21 actively survey for these areas looking for where
22 these particular birds are nesting for the sole
23 purpose that we don't disturb their nest while
24 we're doing the destruction work.

25 Go to the next slide. Here you see a

1 photograph of Ray, our full-time, onsite
2 biologist. Ray is performing some routine noise
3 monitoring because of a gnatcatcher nest that was
4 found in one of those habitat areas.

5 When we find a nest we implement controls
6 like buffer areas, and noise monitoring processes
7 like you see here until the birds have fledged and
8 left the nest. Ray is also the person that
9 provides all the environmental awareness training
10 for all workers on site.

11 I would like to say too that the span of
12 environmental monitoring includes air monitoring
13 for the dust, emissions monitoring for equipment
14 that we have running on site, storm water
15 pollution controls for the runoff of water from
16 rain events, along with monitoring for
17 archeological and paleontological resources.

18 So, you know, not only do we perform the
19 monitoring, but we have regular visits by a number
20 of different states and federal agencies to make
21 sure we're doing the things we have signed up to
22 do.

23 For instance, San Diego Air Pollution
24 Control District routinely visits the site. The
25 San Diego Regional Quality -- Regional Quality

1 Control Board was recently on site to inspect our
2 storm water prevention pollution plans and also
3 our discharged permit.

4 We have regular visits by California
5 State Lands basically on a monthly visit basis
6 making sure we're compliant with our (EIR)
7 Environmental Impact Report conditions. The
8 Department of Toxic Substances Control (DTSC),
9 they're also routinely on site, as is the United
10 States Environmental Protection Agency (EPA) about
11 once a year and in regular visits by the United
12 States Nuclear Regulatory Commission.

13 So all those agencies with overlapping
14 responsibilities routinely visit the site to make
15 sure we're doing what we're supposed to do and
16 complying with all of our requirements.

17 Let's go onto the next slide. Okay. I'm
18 going to show you here some examples on the next
19 couple of slides what we do. You can see in the
20 lower left here some folks observing the
21 installation of a monitoring well. We've
22 installed a number of wells throughout the site to
23 sample for non-radiological hazards, chemicals and
24 metals and so on and those results are reported to
25 the DTSC.

1 You can see this middle here a worker
2 that is monitoring for volatile organic compounds
3 during our excavation, and then on the right side
4 you see an arrow pointing to an air monitor. This
5 particular air monitor there are eight of these
6 installed around the site. They're for the
7 purpose of making sure that the dust and so on
8 that we're generating is not causing a problem for
9 the environment. These are not radiological air
10 monitors, these are environmental monitors.

11 They're real time. They collect the
12 data, the data is analyzed and we provide weekly,
13 monthly and quarterly reports to the DTSC for the
14 results of those air monitors.

15 Go onto the next slide. Here's some
16 other examples. You saw the removal of the crane
17 from unit 3 here just a moment ago. From the most
18 practical point of view the work that we do here
19 generates a lot of dust.

20 These big machines you see here are
21 called excavators. They pound away at the
22 concrete in these buildings and they generate a
23 lot of dust as a result, and we have to control
24 that. And the way we do that is with water. We
25 apply water across the site and to mitigate those

1 emissions. So you can see these types of controls
2 in these photographs here.

3 Let's go onto the next slide. So now
4 we're going to talk about the what's called the
5 national pollutant discharge elimination system
6 permit. It's our discharge permit. It's the
7 permit that allows us to discharge into the ocean.
8 This is a permit that's required by the Clean
9 Water Act. The Clean Water Act came into effect
10 in 1972, and that act prohibits the discharge of
11 pollutants into the water without a permit.

12 You have to have one if you're
13 discharging like we are, whether you're a power
14 plant or you're a water treatment plant or what
15 have you, if you're going to discharge into the
16 waters of the United States you have to have one
17 of these permits.

18 In this case the program, this federal
19 program is here in California controlled and
20 administered by the California State Water Boards.
21 In our case that's the San Diego Regional Water
22 Quality Control Board.

23 What the permit does it translates those
24 gross requirements that are if the Clean Water Act
25 into very specific requirements that dischargers

1 have to comply with. For us if you were to look
2 at our permit, it has lots of provisions in it
3 about what we have to do in terms of what the
4 controls are and how we monitor, and how often we
5 monitor, and what our reporting requirements are.
6 It establishes those limits.

7 The one thing I want to leave you with on
8 this particular slide is this agency and this
9 permit does not control the radioactive
10 constituents that are discharged into the ocean.
11 That's controlled by the Nuclear Regulatory
12 Commission under our license for the SONGS power
13 plant under these two provisions here 10CFR20 and
14 10CFR50, which is our license.

15 Go onto the next slide. So our permit,
16 our discharge permit is coming up for renewal. In
17 February the water board issued a tentative order,
18 which is basically a draft of what the permit
19 would look like. They put it out in public space
20 for comment. It's very much like the permit that
21 we have today with some changes. Those comments
22 on that order were due back to the water board on
23 March 6th. The water board has received those
24 comments, and in fact, they had published those
25 comments in the public arena as well. They can be

1 found on their website.

2 Now there is a public meeting scheduled
3 on April 12th. It's in the city of Laguna Beach
4 at the city council chambers. So we'll be up
5 there on the 12th of April for the consideration
6 of this permit. We'll listen to a presentation by
7 the Water Board engineer to the Water Board
8 members and, well, we are hopeful they approve the
9 permit at that time.

10 Let's go onto the next slide. I do want
11 to talk about the two exceedance events that we've
12 had in the past few months. I think at the last
13 meeting that we had at the CEP, this event that's
14 described here on this slide, I discussed it. It
15 was new at that time. What happened was as you
16 saw those photographs earlier of the
17 deconstruction of the turbine buildings, and this
18 case as we were tearing down the unit 2 turbine
19 building and demolishing the pedestals, these big
20 concrete structures inside that building and using
21 those dust control measures that I talked about
22 earlier, that dust control water found its way
23 into the floor of the turbine building, as we
24 would I guess expect it to, and that water flowed
25 into the turbine building sump.

1 Along with the water, the dust control
2 water it carried with it a lot of debris from the
3 concrete demolition from beating those concrete
4 structures with those big excavators. So the
5 water in the sumps had concrete mixed in with it.
6 That water -- this is something that we made a
7 mistake about. We should have probably known that
8 this was going to happen or acknowledged it or
9 expected it, but we didn't.

10 Consequently the water was pumped from
11 those sumps to our oily water separator system or
12 common oil removal system, and because the total
13 suspended solids (TSS) in that water were
14 relatively high it caused oil in that system to
15 carry over and then go out to the ocean.

16 As we were doing this release, we were
17 sampling in accordance with our permit. We drew a
18 sample of the water, we analyzed the water, and we
19 found that we were exceeding oil and grease above
20 the daily limit. And the TSS was very close to
21 the daily limit but not quite exceeding it.

22 So what did we do? Then we released --
23 by the way, we released about 28,000 gallons of
24 water over the course of this release and by our
25 estimates about one gallon of oil was released to

1 the ocean along with that water.

2 We stopped the releases once we knew he
3 had the situation, and we notified the Water
4 Board. We stopped and took a look at what went
5 wrong and what he can do to mitigate the problem.

6 So we installed endline filters in that
7 water that comes from the sumps to this common oil
8 removal system. That reduced the TSS. We
9 implemented a batch release process that required
10 us to sample the water before it leaves the site,
11 similar to what we do for the radioactive water,
12 and, you know, we would confirm through that
13 sampling that the total suspended solids and oil
14 and grease content of the water was well within
15 permit limits before the release.

16 That's last September is when it
17 occurred. We're fully compliant since that point,
18 and we're haven't experienced any problem like
19 this again.

20 So let's go to the next slide. So just
21 recently, February, we performed another test.
22 There's quarterly testing of the outfall. The
23 outfall being that area on site that leads into
24 the conduits where the water flows out to the
25 ocean. Quarterly, we perform a sample of that

1 water and examine it to see if it produces a
2 chronic toxicity problem.

3 Let me tell you how this works. We take
4 a sample of the water that comes into the plant
5 from the ocean, the salt water dilution that's
6 coming into the plant. We take a sample of the
7 water too that we're putting into the outfall, and
8 we take that over the course of 24 hours. It's a
9 composite sample that we're drawing. We take
10 those samples and we send them to an independent
11 laboratory off site. The laboratory takes those
12 samples along with the third sample of water, sea
13 water that they get from the Scripps Oceanographic
14 Institute, so that's their control.

15 Then they use sea urchins -- the whole
16 point of this test is to use sea urchins and test
17 them for fertility and see what the effect of the
18 water is on the fertility rate of the sea urchins.
19 So they take sperm and eggs from the sea urchins,
20 and they expose them in each one of those three
21 environments: The outfall, the intake, and the
22 control, and then they wait a period of time,
23 hours, and then they count how many eggs are
24 fertilized in each one of those samples and
25 through that they compare to the control and

1 determine if there is a failure of the test.

2 In this case for the first time ever at
3 SONGS we failed one of these tests. So we were
4 informed -- we got the test results on the 21st of
5 February, it takes a few weeks for us to get the
6 full report, and as a result, we look at our
7 permit and what do we do? What does it tell us we
8 have to do? It says take a second confirmatory
9 test, so we take a second sample, follow all the
10 same instructions, and we send that to be the lab,
11 lab analyzes it, and the lab determined that that
12 test was a pass.

13 Now if it passes, you stop there and go
14 back to quarterly monitoring. So the key word
15 here is chronic. What you're really looking for
16 if you got a chronic problem in your outfall water
17 that you're causing somehow. Let's say that
18 second test failed what we do then? So well,
19 there's actually a prescription in the permit
20 about what -- that you follow.

21 If the second test failed, you enter into
22 an accelerated testing program for 12 weeks, and
23 over that 12 weeks every two weeks you take a
24 sample and you repeat like I said here, and if all
25 six of those samples come back as a pass, you

1 stop, and you go back to the normal quarterly
2 monitoring. If any one of the six samples fails,
3 and it kicks you into another routine called a
4 toxicity reduction evaluation. This is a more
5 exhaustive look into what's happening in the
6 environment here to determine what's causing this
7 toxicity problem.

8 And there is even a more detailed
9 procedure that tries to isolate what the problem
10 is, whether it's a chemical or some biological
11 condition, or just what it is in the water. That
12 can take up to a year to perform. While you're
13 doing all of that, we're allowed to continue to
14 discharge to the ocean while you're examining and
15 investigating what's causing this toxicity
16 problem.

17 In our case the second test was a pass,
18 we stop, we go back to routine monitoring. I
19 should say too based on what we've heard from
20 elsewhere in the environmental community is
21 sometimes these tests fail, they're a little bit
22 finicky, especially when you're dealing with sea
23 urchins apparently, so it's not entirely unusual
24 to see a failed test that you don't have a reason
25 for it to fail. That's the situation with this

1 particular exceedance.

2 Let's go to the next slide. Okay, so the
3 other thing that we're doing again is liquid batch
4 releases from the unit 2, 3 spent fuel pools and
5 the reactor cavities. As we started this year we
6 had on board the site about 1.9 million gallons of
7 water in those four areas, the two spent fuel
8 pools plus the two reactor cavities, say more or
9 less 1.9 million gallons.

10 So we've done, I think, three releases
11 starting in February from the unit 2 spent fuel
12 pool, and you can see it here on this slide almost
13 232,000 gallons of water have been released. Each
14 of these batches is nominally a 100,000, could be
15 100 to 120, sometimes a bit less. So that's what
16 we're releasing. We're doing these.

17 The tempo is more or less two releases a
18 month. I'll tell you now the next release will
19 probably be in four to six weeks from now because
20 we're reconfiguring the equipment and moving it
21 over to the unit 3 area, but nevertheless, we're
22 anticipating to be done with all of these releases
23 from all four of those areas probably in the time
24 frame of Q1 of '24, okay. First quarter of 2024.
25 So it's going to take some time.

1 And as I think everyone is aware, before
2 we do these releases, 48 hours before, we post on
3 our website that we're making a release, the
4 estimated amount of water that will be released
5 and we characterize it radiologically in terms of
6 dose so the public has some idea what we're
7 releasing and when we're releasing it.

8 These releases don't cause any harm to
9 people or the environment and that's supported by
10 what? We do what's called radiological
11 environmental monitoring around the plant site,
12 not only of air emissions that we make but also
13 anything we're emitting to the ocean.

14 In this case we look at -- we collect
15 data, for instance, we collect sea water and
16 analyze it to see if there's an accumulation of
17 radioactivity in the ocean water, we collect
18 sediment from the ocean bottom, we collect beach
19 sand, we collect animals, in this case crustaceans
20 and fish, we open them up and analyze them for
21 radioactivity. We split those samples with the
22 California Department of Public Health and they do
23 all their own independent analysis.

24 All of that information, all of that data
25 is collected and reported annually in our

1 radiological environmental monitoring report to
2 the Nuclear Regulatory Commission, and we also
3 post those reports on our website. In addition to
4 all of that, we try to simplify what is basically
5 a small phone book of information into something
6 simple, and you can find that information on our
7 website too. There's an interactive map of where
8 we take the samples and what the recent results
9 are of radioactivity that is in the environment.

10 I can tell you after all these decades of
11 examining the environment, we don't see an
12 accumulation of radioactivity. So we're reporting
13 to the environment is in good shape.

14 The other thing here to kind of leave you
15 with, there are limits about what we can release
16 from the plant in terms of radiation dose. It's
17 less than 6 millirem per year, one and a half
18 millirem per quarter. We're way below that. That
19 232,000 gallons of water that we released is a
20 little bit less than 0.1 percent of that 6
21 millirem per year limit, tiny, a tiny contribution
22 to dose from these releases. That will rise a
23 little bit as we go through this, of course, but
24 it will still be small in the end. We'll never
25 approach that number there.

1 Let's move on to the next slide. What do
2 we do? The water in the spent fuel pools, for
3 example, the water is discharged from the pools,
4 moved into a different tank. As it's moved into
5 that tank, it's cleaned up through a cleanup
6 system. First, it goes through a filtration
7 process, in this case a charcoal filter, and then
8 it goes through a couple different resin beds: A
9 cation bed, an anion bed, a mixed bed, take out
10 all the isotopes that are in the water, as much of
11 them as we can so that reduces radioactivity a
12 lot.

13 Then that water is put into another tank.
14 That tank is recirculated for a period of time to
15 get at least three volumes of turnover in it.
16 You've got water that is well-distributed, the
17 contents of which is well-distributed. It's
18 homogenous, water is sampled. We determine how
19 much radio activity is in it, we calculate a dose
20 for what we're going to release, and then the
21 water is released through pumps into the ocean.

22 So the water is processed through a rad
23 monitor. The rad monitor has a very low set point
24 so that if anything is -- there's some small
25 particle more activated and tries to flow by the

1 rad monitor, it will trip, it will stop the
2 discharge, so that's one feature. The other thing
3 is we have to keep running while we're doing this,
4 is the dilution pumps. We have these salt water
5 dilution pumps that I was mentioning earlier, they
6 draw water in from the ocean and pump it back out
7 to the outfall. So here's where the dilution
8 point happens.

9 So we're processing somewhere around
10 nominally, give or take, about 80 to 100 GPM of
11 water from this radioactive water that's been
12 cleaned up to the outfall. It's mixing with about
13 14,000 gallons per minute of water. It is going
14 into the outfall, so you can see here the ratios,
15 and it flows on out through these long conduits.

16 If the dilution pumps should stop for
17 some reason, that is a feature of this system that
18 will stop the discharge, it will close the valve.
19 That's an automatic feature. All of this is
20 monitored by an operations group, and SONGS
21 Decommissioning Solutions (SDS), our contractor's
22 organization they stay on top of this to monitor
23 and make sure everything is working properly.

24 Any questions about this?

25 DAN STETSON: So, Ron, just to review

1 real quickly, we've got about 100,000 gallons
2 being released over up to like 30 hours?

3 RON PONTES: More like 12 to 18 hours,
4 probably tendency closer to 18 hours.

5 DAN STETSON: Okay. That whole thing
6 then as it comes in, it's diluted at
7 14,000 gallons per minute before it goes out?

8 RON PONTES: Yes, that's right. When it
9 gets -- let's go to the next slide. I think the
10 next slide is -- this is the interesting slide for
11 me. On the right-hand side you see an image of
12 the plant, and in these yellow lines extending off
13 to the left are the conduits. All of our releases
14 go through the unit 2 discharge conduit. From the
15 shoreline to the very end of that conduit is
16 8300 feet, okay.

17 The last -- I think it's about 12 or
18 1500 feet of that conduit, there's diffusers.
19 These diffusers is where the water is emitted.
20 The first of those diffusers is more than a mile
21 off site. The water is flowing through these
22 pipes and gradually coming out of the diffusers
23 into the ocean. The water level out there varies
24 somewhat with the tide, 40, 50 feet of water at
25 that point.

1 You've been on the ocean out there, Dan,
2 you know, you've been out there with Surfrider
3 drawing samples, helping them from that point, I
4 think you can appreciate the ocean is big, and the
5 amount of water we're discharging is small, so it
6 is diluted quite a bit. To start with, the amount
7 of radioactivity releasing to begin with is
8 really, really tiny.

9 I'm going to mention one more thing, I
10 talked about a filtration system. Let's go back
11 one slide for a moment. What does this not take
12 out that's in the water? Doesn't remove tritium.
13 And there is some tritium in our water. But we
14 have to think about when you think about tritium,
15 what is the dose consequence of the tritium when
16 it's released to the ocean.

17 In all of these releases how you
18 calculate the dose consequences how it
19 bioaccumulates in fish and crustaceans, whatever
20 there is in the ocean that we would eat, that we
21 would consume, tritium doesn't really
22 bioaccumulate in a big way. So it doesn't have a
23 big dose consequence.

24 So I hate to compare us to Fukushima, I'm
25 not here to talk about Fukushima, I know that's on

1 everybody's mind, so we might as well say it.
2 Fukushima have a lot of water at that site. We
3 have about, what, 1.9 million gallons, they
4 have -- what's the number -- 240 million gallons
5 of water, some number like that, so they have a
6 lot more to deal with, and they have tritium in
7 their water too. I know it's a thing that's out
8 there that people are concerned about.

9 What I can tell you about SONGS is we
10 don't have a lot of water. The levels of tritium
11 in our water are relatively low to begin with, and
12 that's not a big contribution to the environment.
13 So the scale here is not the same. So I would
14 just like to say that we understand that and kind
15 of get it out there.

16 DAN STETSON: For those of us who don't
17 know what tritium is, can you give us a quick
18 little --

19 RON PONTES: Tritium is hydrogen isotope.
20 That's one hydrogen atom or one proton with two
21 neutrons. That is what it is. It's unstable, so
22 it doesn't like being together so over time it
23 breaks apart, and when it decays it releases a
24 weak beta particle, okay. Beta doesn't penetrate
25 the skin necessarily. It's easily blocked by

1 anything, so it's -- it's not like a gamma ray
2 which can penetrate you or cause a little bit more
3 damage or neutron. It's not like that.

4 It is a problem if you ingest it, if you
5 were to ingest tritium or breathe it in, that is a
6 bigger health consequence, not a huge one. It has
7 issues around that. In our case we're releasing
8 it to the water. It doesn't bioaccumulate, small
9 concentrations to begin with, really not a
10 problem.

11 DAN STETSON: I think Martha had a
12 question.

13 MARTHA McNICHOLAS: Yeah, would that
14 tritium account for the NRC limit of 1.5 millirem
15 per --

16 RON PONTES: It would take a lot of
17 tritium to get close to those limits, a lot.

18 MARTHA McNICHOLAS: That is something
19 included in the radioactivity --

20 RON PONTES: Right.

21 MARTHA McNICHOLAS: -- limits.

22 RON PONTES: The bigger contributors are
23 things like cesium or cobalt, those things. We've
24 taken most of that out too with these ion
25 exchangers and filters.

1 MARTHA McNICHOLAS: Okay. That would be
2 accounted for --

3 RON PONTES: It's all accounted for.

4 MARTHA McNICHOLAS: -- in the testing and
5 monitoring, and if there was a big problem, it
6 would show up?

7 RON PONTES: Absolutely.

8 MARTHA McNICHOLAS: Thank you.

9 MARK ENMEIER: You mentioned it doesn't
10 bioaccumulate, could you explain why it doesn't
11 bioaccumulate?

12 RON PONTES: Because it behaves like
13 water. It's in and out, right. That's tritium.
14 It -- look at it like water. It's not like
15 stratum that you might ingest and it collects in
16 your bones or iodine when we were operating the
17 plant. We don't have iodine anymore. If we did,
18 it would accumulate in your thyroid.

19 Different isotopes accumulate in
20 different parts of the organs. Tritium kind of
21 just passes through. Does that help?

22 MARK ENMEIER: Yes, thank you.

23 RON PONTES: That's kind of a laymen's
24 understanding.

25 Let's go to the next slide. Next slide.

1 Unless there are any questions about this?

2 VICTOR CABRAL: Back to the last slide.
3 The byproducts of what is filtered, what happens
4 to that?

5 RON PONTES: These filters -- that's a
6 good question. The ion exchangers do collect
7 cesium, cobalt, other radioactive isotopes, and
8 they load up, and then SDS carefully monitors
9 that, because they don't want to pay a lot of
10 money to discharge it as class B or class C waste,
11 so they monitor it so they can discharge it as
12 class A waste. That's what they do with it.

13 They don't -- they carefully look at
14 that, they change that media from time to time.

15 MARTHA McNICHOLAS: Those filters get
16 replaced and sent off to either Clive or Texas?

17 RON PONTES: For disposal, yeah.

18 MARTHA McNICHOLAS: Thanks.

19 RON PONTES: Any other questions on that?

20 Let's go onto the next slide. Anything
21 here by anyone?

22 Let's stay here for a moment. I talked
23 about this long term monitoring we do and the
24 reporting that we make. This is the remp
25 monitoring, as I call it. We look for all

1 those -- we monitor all those parameters, water,
2 sand, sediment, so on, we report it. It's
3 available on our website in a simple form if you
4 want to look at it. These results clearly
5 demonstrate we're not accumulating radioactivity
6 in the environment.

7 Let's go to the next slide. And this is
8 that interactive map that I talked about. You can
9 find this on our website too. You can go here,
10 you can click on where we sample, and you will
11 see, and it will take you to the other pages that
12 show you the results of the recent sampling in
13 those areas.

14 Go onto the next slide. Okay. We're
15 going onto a new subject. We're not talking about
16 environmental anymore. Now we're talking about
17 these exclusion and controlled areas. There's
18 changes coming to these areas. In the case of the
19 exclusion area what this is I'm going to read it
20 off the slide here, it's an area surrounding the
21 reactors, that gives the licensee, that would be
22 Edison, authority to determine all activities
23 including exclusion or removal of people and
24 property from that area.

25 You are going to see it on -- in the next

1 slide what that is. Physical security boundaries
2 if this area are not required. This is quite a
3 big boundary around the site. We'll come back to
4 that in a moment.

5 The other area we're going to talk about
6 is the controlled area. This is a 100-meter area
7 surrounding the ISFSI where the radiation dose
8 resulting from a design basis accident must not
9 exceed the regulatory limits, meaning 5 rem per
10 year whole body dose.

11 And the ISFSI controlled area doesn't
12 have any effect on the measures for the physical
13 security of the plant either, okay.

14 Now, let's go onto the next slide. This
15 might look like a little bit of a busy slide. In
16 the middle here you see an image of the plant, the
17 two reactors, unit 2, unit 3 and that big green
18 line that goes around them is the definition of
19 the exclusion area boundary. It's almost
20 2000 feet from the center line of the two
21 reactors. When we were operating the reactors and
22 we were close to limits if we were to have a
23 reactor accident, and should there be a release it
24 was in this area we had exclusive authority where
25 we could remove people or property. We could

1 control this area. That's what this means.
2 That's what this is all about.

3 This area is no longer required because
4 we're not operating the reactors anymore and all
5 the fuel is, where, it's in the dry storage
6 facility. There's no fuel left in the plants.
7 It's not possible for the accidents that this was
8 defined for to happen anymore. It's really not
9 needed anymore. We'll talk about that more in a
10 moment.

11 The other area is harder to see on this
12 slide, but that's the controlled area boundary, or
13 the CAB, that's 100 meters basically around the
14 fence that defines the perimeter of the ISFSI or
15 the dry storage facility.

16 You can see that red dotted line it's
17 kind of rectangular in shape that is around it.
18 The bigger red line, the bigger rectangle that you
19 see that kind of encompasses the whole site is the
20 licensed area for the site, okay. That's the part
21 50 licensed area.

22 These two boundaries allow us to do
23 things outside the licensed area. That's their
24 purpose.

25 Go to the next slide. Okay. So the EAB

1 is not needed anymore. There is a provision in
2 the environmental impact report, the lease that
3 encompasses the environmental impact report for
4 decommissioning the plant, and that tells us that
5 we have to seek NRC approval to reduce the EAB to
6 the minimum required by law. We already know that
7 it -- because the reactors aren't operating any
8 more the EAB is not needed, so we can get rid of
9 it completely. That's because all the spent
10 nuclear fuel is in dry storage, and the release of
11 fission products from the reactor is not possible
12 anymore.

13 So doing this restores unrestricted
14 public access to those areas outside the part 50
15 boundary, remember that bigger rectangle. So for
16 example, beach goers can walk along that walkway
17 and never be stopped by us once that boundary is
18 removed. It doesn't have any impact on the
19 emergency plan.

20 So when do we intend to eliminate this
21 boundary officially is after we get all the
22 greater than class C material over to the ISFSI,
23 and that's really out of an abundance of caution
24 on our part. Technically we don't even need it
25 for that. That's the EAB.

1 Let's go to the next slide. The
2 controlled area boundary, so this is the other
3 boundary. Now the NRC recently approved an
4 extension request that we made to reduce the size
5 this controlled area boundary from that 100 meter
6 standoff, which is a regulatory requirement to
7 something smaller.

8 The idea here was to be consistent with
9 what we're asked to do in the lease with
10 California State Lands, at least provision 32. So
11 this is what we were attempting to do here. On
12 the left-hand side you see that small bubble in
13 blue, that was basically out into the parking lot
14 area just beyond the licensed area. That is
15 reduced now to the fence line, and then on the
16 Oceanside, we're bringing it back to the sea wall.
17 Okay, that's where the new controlled area
18 boundary will exist.

19 It's less than 100 meters, but after
20 reviewing our calculations and the NRC performing
21 their own independent calculations, they
22 determined that it wasn't necessary to have this
23 100 meter standoff. That's because we have a
24 tremendous amount of shielding around those
25 canisters of fuel that are stored in the dry

1 storage facility.

2 So that is already implemented, and the
3 only thing left to do now is to remove the EAB,
4 which will happen a bit later this year.

5 Any questions on these boundaries because
6 they can be a bit confusing about what their
7 purpose is and how they're defined and what they
8 mean?

9 DAN STETSON: David.

10 CHAIRMAN DAVID VICTOR: Thank you very
11 much for this. I just want to make an
12 observation. Earlier the comment was made that
13 the language sometimes gets in the way of the
14 public understanding what's going on here. And I
15 just want to reiterate something that people have
16 been to these meetings for a long time know and
17 others may not, which is the Nuclear Regulatory
18 Commission, the NRC, still doesn't really have a
19 consistent strategy for decommissioning plants.

20 The whole agency was set up to deal with
21 plants that are in operation, and they're not
22 quite building the plane as it flies for
23 decommissioning plants, but the procedures are not
24 as straight forward. So one of the reasons that
25 you are narrowing the scope of the regulatory

1 control through something called exemption
2 requests is because in effect the whole system was
3 designed to operate in regulatory mode, and then
4 as the risks go down, you can relax some of these
5 set-asides and so on, and the only way to get
6 those administratively is through exemptions. I
7 don't know if you have any further comment on
8 that.

9 I wanted to underscore that because it
10 sounds sneaky. As a matter of administrative law,
11 it's the only way the NRC can operate.

12 DAN STETSON: And, Ron, are there any
13 reductions in the number of armed safety personnel
14 that are on site or any reduction in those type of
15 safety features?

16 RON PONTES: Not at all. Those
17 requirements remain and will remain until the very
18 last canister of fuel or GTCC is removed from the
19 site. That will stay like it is right now.

20 DAN STETSON: Thank you. Any other --

21 MARK ENMEIER: I just heard from some of
22 my constituents that they're concerned that even
23 with the spent fuel there, that sounds like San
24 Clemente can still be in an area of being affected
25 by any sort of leak or anything else, and you're

1 saying based on this, that there is no possibility
2 of that?

3 RON PONTES: Let me try to explain it a
4 different way. When we were operating a plant
5 there were 82 different emergency action levels
6 that we could trigger due to an upset condition of
7 the reactor plants, and that was when we were
8 operating, okay. The fuel was much closer to its
9 limits thermally and, you know, accidents could
10 happen if a lot of barriers were diminished there
11 could be problems.

12 Today there's three with all the fuel in
13 dry storage. None of those three can result in a
14 release of radioactivity beyond the site boundary.
15 Anything that happens is contained in the licensed
16 area. So it's not possible for it to get out.
17 Okay. So, no, I would suggest that the folks in
18 San Clemente ought to be reassured that this
19 system will work to contain those types of
20 accidents that could occur, but they can't --
21 won't be released outside that boundary.

22 DAN STETSON: We have another question
23 Michelle?

24 MICHELLE ANDERSON: I want to add
25 something for both Orange County, San Diego

1 County, and Camp Pendleton, we continue to
2 maintain at the local level the emergency response
3 plans that include radiation monitoring teams, and
4 an offsite dose assessment center that do have a
5 protocol for should something happen, our teams
6 would deploy and would actually do a validation,
7 if you will, of the area. So even though it's
8 being granted the exemption request, Orange
9 County, San Diego County, and Camp Pendleton are
10 not changing our response procedures.

11 RON PONTES: Thanks for that. I should
12 have mentioned that and emphasized it. There's no
13 change whatsoever in that plan. Those responses
14 are still available.

15 DAN STETSON: And you still have the
16 radiation monitoring system in place and that will
17 continue?

18 RON PONTES: Yeah, we have a real time
19 radiation monitoring system in the ISFSI. That
20 data is streamed to three agencies as, you know,
21 Dan, California Department of Public Health, the
22 City of San Juan Capistrano, and California State
23 Parks. They all receive that information and so
24 they can see real time what's happening and
25 clearly those instruments show that the radiation

1 levels on the system today is about as close to
2 background radiation levels as you can get; very,
3 very small.

4 DAN STETSON: Okay, thank you, Ron.

5 RON PONTES: Welcome. Is there anymore
6 slides?

7 DAN STETSON: There's another one.

8 RON PONTES: Another slide? Let's move
9 on, please. I think we're going to wrap up here.
10 I think we talked about this at the last meeting.
11 This was part of the -- one of the key
12 presentations or perhaps the meeting before. You
13 know when we were operating the plant, the plant
14 had some impact on the environment. As a result
15 there were mitigations that were required due to
16 the operation of the plants.

17 There was a big reef that was built to
18 restore fish stock in this area. That reef, to my
19 understanding, is starting to meet its
20 requirements, and you can hear more about that
21 coming up at a meeting on April 5th, and it will
22 be at the San Clemente Community Center, and you
23 can get on Zoom and watch it, and you'll hear from
24 the scientists from the University of Santa
25 Barbara that do the monitoring, and you'll hear

1 about how the reef is performing, and you'll learn
2 a lot about that.

3 The other one that we have is the San
4 Dieguito Wetlands down by Del Mar. By the way, if
5 anybody has not had an opportunity to visit that
6 area, I really recommend that you go down there
7 and visit it, and it's very beautiful. This a
8 wetland area that has been restored.

9 Unfortunately it's not yet meeting its
10 performance targets. We continue to work on it so
11 it will achieve those targets. We have to
12 mitigate both of these areas for a time equal to
13 the years that the plant operated.

14 Dan, this is something I know you're
15 routinely interested in. Do you have any comments
16 you want to make about this?

17 DAN STETSON: Just that I'm looking
18 forward to attending certainly the meeting in
19 April. We used to host that at the Ocean
20 Institute, so I'm always interested in that. I'm
21 out regularly with the folks from Cal State Long
22 Beach out on the Wheeler North Reef. That's a
23 special interest. I look forward to that meeting.

24 RON PONTES: Thank you, Dan. I think
25 that concludes my part of this presentation.

1 DAN STETSON: I think so. I think the
2 next slide.

3 Sorry, any questions?

4 Ron, thank you so much. I think that was
5 a lot of information there. I think it was
6 immensely helpful to understand all the different
7 pieces of it. Thank you very much for that.
8 Also, Vince and Doug, thank you for that. If
9 there's no questions at this time, I think we all
10 need a five-minute break. We'll come back here.

11 Those of you are interested, again, it's
12 really helpful if you write down your question. I
13 want to apologize in advance to Nina, not on
14 purpose, I know in the past my wife says I don't
15 hear very well, and I have slaughtered some of
16 your questions. If you write them down, we'll
17 certainly do our best to have them answered.
18 Right now we're going to take a five-minute break.

19 (Recess.)
20
21
22
23
24
25

PUBLIC COMMENT

DAN STETSON: Thank you very much. Let's reconvene. If we can go to the next slide, slide 50. Once again the directions for public comment are shown here and online, for in-person participation, CEP comment form is also available for you to speak online.

We're first going to ask those that signed up online we're going to open that up and ask them to go ahead and make their comments or questions as they may. After those are completed, then we'll go ahead, and we will open up here for those who would like to speak in person. And then after those are done, the questions that have been asked online and in person, hopefully we've done a good job of documenting those, we'll then direct those to the appropriate person to answer.

Let's see, we'll now open the chat feature for those participating virtually. I'll call your name when it's your turn to speak. My recollection is you hit star 5 in order to speak, and you'll have three minutes to speak, so let's call on the first commentator.

MARTHA McNICHOLAS: Cathy Iwane.

1 DAN STETSON: Cathy Iwane. Look at that
2 speaker queue. Thank you so much.

3 Cathy, are you there?

4 CATHY IWANE: Can you hear me?

5 MARTHA McNICHOLAS: Yes.

6 DAN STETSON: We can hear you. Thank you
7 very much.

8 CATHY IWANE: Perfect, perfect. Thank
9 you.

10 Cathy Iwane, I am a resident of Del Mar
11 in North County San Diego. My question I have the
12 question, and it's a three-part question but
13 before I ask my question I'd like to for all those
14 in attendance tonight I would like to stress that
15 this the CEP is funded by the Decommissioning
16 Trust Fund, which all of us ratepayers have paid
17 into. And with that in mind, I'd like us all to
18 know in December and again in January, I sent a
19 heavily endorsed letter to the co-chairs of Spent
20 Fuel Solutions.

21 I sent it to the co-chairs of Spent Fuel
22 Solutions, because I wanted a response from my
23 elected leaders, and what this request letter was
24 about it was asking if a nuclear expert Paul
25 Blanche could present at the CEP meeting. Instead

1 of any response whatsoever from the co-chairs, I
2 received a refusal response from David Victor.

3 That is fine and well, but I would like
4 us all to understand that this CEP purports to
5 have an open dialog and to -- with a commitment to
6 embracing input from the public and the
7 surrounding community. As someone engaging on
8 this side and as someone who has been on boards of
9 corporations and boards of foundations, et cetera,
10 I do know what engagement means, and this is often
11 a situation where you might have to repeat what
12 has been said before.

13 So in the refusal I never received a
14 response from the co-chairs of Spent Fuel
15 Solutions, but instead I was told by technical
16 staff at Southern Cal Edison that they had already
17 given us a responses to all of our concerns about
18 retrievability of spent fuel at SONGS, as well as
19 serious concerns dealing with flooding and Tsunami
20 risk to the ISFSI that has not been addressed by
21 the NRC, nor has it been addressed at the CEP.

22 So instead of allowing a public expert,
23 independent expert to communicate unaddressed
24 concerns to the community, you shut us down.
25 Okay.

1 This is very important because we will
2 have our own meeting addressing these concerns in
3 May, end of May, May 23rd. So, please, everyone
4 available please come and learn about concerns
5 that have not thus far been dealt with.

6 Okay on to my question --

7 MARTHA McNICHOLAS: Your time is up,
8 Cathy.

9 DAN STETSON: Cathy, we do have your
10 written questions here. We'll go ahead, and we
11 have your questions that you have written so we'll
12 go ahead and include the questions that you've
13 written down and address those after everyone else
14 has had their chance to speak. We want to thank
15 you, Cathy.

16 And we want to move onto our next
17 speaker, and that is Alice McNally.

18 Alice, are you there?

19 ALICE McNALLY: Yes.

20 DAN STETSON: Okay. Very good.

21 ALICE McNALLY: Thank you. It is always
22 distressing to listen to the industry make light
23 of the radioactive dangers of decommissioning and
24 storage of nuclear waste and what the danger it
25 poses to the public. What is even more

1 distressing is to read that the San Diego Union
2 Tribune has recently obtained California public
3 records, which showed Chairman David Victor hiding
4 financial ties to the utility companies.

5 For the record, I am asking for a full
6 disclosure tonight from Chairman Victor and from
7 all the CEP members, thank you.

8 DAN STETSON: Thank you very much.

9 With that, we'll move onto our next
10 speaker and that is Kalene walker.

11 Kalene, are you there?

12 KALENE WALKER: Yes, I am.

13 DAN STETSON: Perfect.

14 KALENE WALKER: I guess I just wanted to
15 mention that there's a legislation currently to
16 override the current law which does not allow any
17 new nuclear in California until there's a
18 permanent repository.

19 I'm kind of watching all of that happen
20 and watching the promises that this waste is going
21 anywhere. I've attended a lot of technical
22 meetings from the NRC about the fuel, the
23 condition of high burn-up fuel and storage and its
24 degradation and clouding failure, and the problems
25 with fuel in storage, never mind transport. So

1 that people are believing that this stuff is going
2 to go anywhere in its current containers is
3 baffling to someone who has really, really been
4 looking at the technical aspects of this material.

5 Heads up on the bill that would override
6 our current requirement that no more nuclear until
7 there's a permanent repository.

8 MARTHA McNICHOLAS: Kalene, you had
9 another comment that you submitted?

10 KALENE WALKER: You can read that.
11 That's for Ron Pontes on slide 33 he said that the
12 sampling did not include for -- to test for
13 radiological elements. I was curious why the
14 water well samples and stuff, and I'm wondering if
15 I heard him correctly, if I did, why wouldn't the
16 soil and water samples be tested for radiological
17 elements, because that's one of our big concerns
18 surrounding a big power plant?

19 MARTHA McNICHOLAS: Thank you.

20 DAN STETSON: Thank you very much.
21 Actually, that concludes all of those that have
22 requested to sign up or speak online. The rest of
23 the ones we have three folks here that have signed
24 up online, but they're actually here.

25 Gary Headrick, you're first. Please go

1 ahead and step up.

2 Nina, you're after Gary.

3 Charles, you're after her if you don't
4 mind.

5 Gary, please take it away.

6 GARY HEADRICK: Yeah, thank you very
7 much. My name is Gary Headrick, founder of San
8 Clemente Green, and I'm proud to see our town
9 well-represented here. Thank you for being here,
10 and thank you all for being here. It's good to be
11 here in person again.

12 I have a unique perspective, I think,
13 representing a large segment of our community, and
14 as much as we like to believe everything that we
15 hear, we have a reputation of checking things out
16 very thoroughly. We are concerned about a lot of
17 the processes that seem to be going too fast or
18 they're discounted because they're not credible,
19 according to you, but we have experts who say they
20 are.

21 Really it's going to be a matter of us
22 coming together. Obviously the industry has their
23 goals, and I would characterize them as being more
24 short term. And our, as a community, we're
25 looking at the long term consequences of not

1 handling this exactly right, because things do go
2 wrong, we've seen that. Oftentimes I have to
3 remind the public about things that have gone
4 wrong, the things that were brought to my
5 attention by whistle blowers.

6 And a long history over the last more
7 than a decade that I've experienced troubling
8 information that doesn't add up, but we're not
9 getting anywhere, and our issues are often
10 dismissed or ignored like Cathy Iwane mentioned.

11 I also understand if we're going to come
12 together as the industry and as the community, and
13 we have short term and long term goals we have to
14 find a way to match those to where they're
15 compatible and everyone is going to get what they
16 want out of this, and yet, that's going to take a
17 lot of trust. And it was mentioned already before
18 that David Victor has been accused of some things,
19 and he's not guilty until it's proven, but the
20 charges and the information that I've seen are
21 enough to raise the red flag and make me ask
22 questions and alert our community to something
23 that could be very detrimental to this process
24 because it undermines our trust.

25 Hopefully David is in the clear. We'll

1 see how that pans out, but if it doesn't, it's a
2 huge disservice when I think he's trying to do the
3 best, but if he's actually -- it doesn't bother me
4 if he's getting paid and we didn't know about it,
5 that's to be, you know, filtered through, but the
6 part that really bothers me is he's being accused
7 of altering the results of studies that would take
8 our community, and San Diego in particular, take
9 them away from local solar generation to large
10 scale utilities solar, and if he's doing that and
11 it's not to the benefit of the community, but he's
12 doing it to benefit himself or to benefit the
13 people he's representing, then we're starting all
14 over. The CEP is meaningless and everything
15 you've said before would fall apart.

16 So I think we have to look at that
17 closely as it develops and hopefully David is in
18 the clear, but if he's not, we have to be prepared
19 to pretty much restart everything.

20 DAN STETSON: Thank you, Gary.

21 And, Charles, if you don't mind, maybe
22 just get up there so we'll be ready to keep things
23 rolling.

24 NINA BABIARZ: We'll keep things rolling.
25 Good evening. My name is Nina Babiarz. I'm with

1 Public Watchdogs. I'm not going to discuss the
2 recent legal filings that reveal David Victor's
3 conflicts of interest issues primarily because
4 Southern California Edison will comment that it's
5 pending litigation.

6 However, I am do intend to talk about
7 conflicts of interest regarding Dr. Victor's
8 management of the CEP charter. When you think
9 about it Edison had a dazzling opportunity,
10 actually one unlike any other community engagement
11 panel around the country that enabled an
12 investor-owned utility to tap and have a
13 guaranteed annual budget within the
14 decommissioning with a ratepayers decommissioning
15 trust fund and allowed Edison to write its own CEP
16 charter.

17 What's unfortunate for our communities is
18 that in the nine years of the CEP chaired by
19 Dr. Victor had delivered little with what the
20 Southern California Edison CEP charter actually
21 promised to deliver to the community and how the
22 community itself has not experienced, for example,
23 enhanced and fostered open communication.

24 I believe that public involvement is
25 actually been suppressed. The charter goes onto

1 talk about open dialog, issues of interests in the
2 community. The topics of interest in most of
3 these meetings have been those of Southern
4 California Edison, Dr. Victor, and Cathy Iwane's
5 statement is another example of past examples that
6 have happened over the years.

7 I'll give an example for example when the
8 CEP panel member herself inquired to Dr. Victor
9 who would be the determining the next annual CEP
10 topics and what those topics would be, there was
11 absolutely no contribution from the community that
12 was sitting there that could have offered those up
13 to Dr. Victor, because he wasn't receptive to it.
14 And he made sure that the next time that CEP panel
15 member was actually removed.

16 Another example was is Gary Headrick
17 himself, and this was during the seismic
18 presentation by Driscoll at Scripps, Gary was
19 under the impression from Dr. Victor that he was
20 going to have an opportunity to rebut, and he
21 prepared to do that, but at three minutes
22 Dr. Victor cut him off at the knees.

23 Gary is a well-respected community
24 participant in this whole process from the very
25 beginning. So I hope that in my concluding

1 seconds here for all the open dialog that we have
2 according to the charter, that I don't think
3 anybody has even read, this might be an
4 opportunity for Edison to start distancing
5 themselves from the conflicts of interest that
6 Dr. Victor has with the CEP charter. Thank you.

7 DAN STETSON: Thank you very much.

8 Charles. Please state your name, sorry.

9 CHARLES LANGLEY: I'm Charles Langley.
10 I'm the executive director of Public Watchdogs,
11 and I just wanted to express my exceptional
12 concern about the idea of a community engagement
13 panel and what a community engagement panel is
14 supposed to do. And I think what it's supposed to
15 do is educate and engage the public, as it says,
16 with meaningful discussion and provide a forum
17 even for meaningful debate.

18 I think the panel has done a great job on
19 the education part, but I'd really like to see it
20 opened up to people who aren't necessarily staunch
21 defenders of Southern California Edison because
22 right now the way it's set up, even though I
23 realize a lot of you are volunteers and you're
24 independent, the general public perception is that
25 the community engagement panel is really a public

1 relations organ of Southern California Edison, and
2 in other parts of the country these panels are
3 actually independently created, sometimes mandated
4 by law, you know, to have a community engagement
5 panel and its made up of citizens. It isn't made
6 up of utility executives who are picked by the
7 representatives on the panel.

8 I'm not trying to criticize your service
9 as community engagement panel members, but it
10 would be great if we saw some meaningful and
11 genuine criticism that isn't coming from Edison.
12 I'll give you an example, I think about two months
13 ago we were part of an effort to ask an expert
14 Paul Blanche to present here. And Mr. Blanche was
15 willing to fly to Southern California and discuss
16 his concerns about flooding, which are very real
17 and legitimate in terms of what would happen if
18 there was a flooding event at the independent fuel
19 storage facility, and this offer was declined.

20 This is a man with 50 years of experience
21 at operating nuclear reactors from his time in the
22 Navy, all through his time at Commercial Nuclear
23 Reactors, and he was simply dismissed, and I'm
24 concerned. I'm very concerned that someone who is
25 very much qualified expert wasn't allowed to come

1 up here and engage in meaningful dialog and
2 actually discuss the science. Thank you.

3 DAN STETSON: Thank you very much,
4 Charles.

5 Quick question, if I may, before we go
6 on, I thought that brought up an interesting
7 point, with all the rain that we've had recently
8 over these last couple months, have we had any
9 flooding issues at all with --

10 RON PONTES: We have not. The storm
11 water drain system on site has been handling the
12 rain quite well, and in the case of the north
13 industrial area where the dry storage facility is
14 located, we haven't had any problems whatsoever.

15 There is large pumps there in the sump
16 that actively de-water that site. We haven't had
17 any problems.

18 DAN STETSON: Thank you very much. I
19 believe that concludes all of the public comments
20 both online and in person. So now we're going to
21 move to answer those questions that have been
22 submitted. And Martha is going to help me with
23 this.

24 MARTHA McNICHOLAS: I think the first one
25 we got was through Gary Headrick through the

1 nuccomm site. We go to that one first, but it's
2 also mentioned by several other people, and that
3 is some of the questions with David Victor as
4 leader of the CEP and his financial ties to
5 utilities.

6 And, Dr. Victor, I know you have e-mailed
7 a response, but could you -- give you a chance to
8 explain.

9 CHAIRMAN DAVID VICTOR: Sure, absolutely,
10 thank you very much, Martha.

11 So let me just say a couple things
12 quickly: First, I was really surprised, and
13 surprised is being kind, I think, at the messages
14 that Gary Headrick and Charles Langley sent around
15 to the community a day or two ago. I was just
16 stunned by that.

17 You know, Gary talked about trust, trust
18 is a two-way road. We've known each other for a
19 long time. Whenever issues come up, I always bent
20 over backwards, got in my car, driven to see you,
21 sat down with you, had a cup of coffee, listened.

22 Charles, we invited you to Scripps
23 Institute of Oceanography, you and your colleagues
24 to learn a lot more from Neil Driscoll about
25 seismic risks. Neil made hours and hours and

1 hours of his time available, so did I. That's how
2 we deal with things is we talk and then we learn,
3 and then if there are concerns, we talk about that
4 more widely in the public and so on. But to go
5 into lead to the public without even checking
6 basic facts, to me is astonishing.

7 Second, there's no issue of hidden
8 financial ties. There's full disclosure. I'm an
9 academic, I study how to eliminate emissions that
10 cause global warming. I think that's pretty
11 important for the planet, maybe other people don't
12 think so. That hinges every single study,
13 including the study that just came out from the
14 Intergovernmental Panel on Climate Change, which
15 won the noble peace prize with Al Gore, an
16 organization I've been very heavily involved with.

17 The central result of that is electricity
18 is the core strategy, so what do we in our lab at
19 UC San Diego with our graduate students and so on,
20 we study electric power systems. You can't do
21 that work unless you're connected to people who
22 know how power systems operate. That's why we do
23 it that way, and we disclose all of the funding.
24 We're proud of that, because it's a sign of the
25 quality of our work.

1 I have sent a detailed note to both Gary
2 and Charles, and I've sent to the entire -- copies
3 to the entire CEP, make it part of the public
4 record. I'm not concerned about an issue of
5 public disclosure, my university is not concerned
6 about an issue of public disclosure.

7 Third, I'm kind of astonished to hear all
8 these comments at this meeting. It's like a
9 gotcha moment, because they have nothing to do
10 with San Onofre, except for this kind of
11 implication that there's some cabal that's making
12 secret deals or hiding information from the public
13 that's false, that's wrong.

14 And the fourth and last thing I'll say
15 about this, is we're all public -- every single
16 member of this CEP is a volunteer, and one of the
17 things that makes it great and to other comments
18 that were made, this CEP is being watched around
19 the country and it's a model, it's one model, not
20 the only model, there are lots of models.
21 Sometimes, like in Vermont, it's mandated, most
22 countries, most places, it's not mandated.

23 We've got one way of doing things here,
24 and a lot of people are watching us and learning
25 from us and we're learning from them and they were

1 actually on this call a few days ago getting
2 themselves organized to try and push for changes
3 in federal law so we can move the spent fuel out
4 of here.

5 Why on earth would we start attacking
6 each other in the kind of harsh way that has
7 become so common in American politics, when we're
8 pointing all the same direction. So I'm just -- I
9 was really surprise and disappointed after all the
10 time that we all have worked together to try and
11 build trust to see two prominent members in our
12 community and their organizations make those
13 comments in public without even bothering to check
14 facts, let alone giving me the opportunity to talk
15 with them, which I would have happily done.

16 DAN STETSON: Thank you, David. I'd like
17 to add onto that, and David, just real quickly,
18 with reference to terms of compensation, have you
19 received any compensation from SCE or even
20 reimbursement for any of your expenses?

21 CHAIRMAN DAVID VICTOR: No. I don't even
22 ask for reimbursement, because I'm worried that I
23 if I get a reimbursement check -- I will say I've
24 had a couple of slices pizza, not today because
25 I'm in DC and mailing a pizza here would be

1 horrific, but I don't even ask for reimbursement,
2 because I figure if I get a nickel of
3 reimbursement someone is going to come after me
4 with a conflict of interest.

5 We once got a Public Records Act, and
6 people have been pointing to the Public Records
7 Act is somehow evidence that information is being
8 hidden, that's what the Public Records Act is for.
9 We got a Public Records Act request asking for all
10 the payments from Edison to me over year and years
11 and years, and our counsel looked at really
12 closely and wrote back and said there's nothing to
13 report.

14 Had the university been a customer of the
15 Edison, had we been the Edison service territory,
16 technically we would have had to comply with all
17 of our electric bills, because those would have
18 been all payments and moved back and forth between
19 the university and Edison. Not only do I not take
20 any money from Edison, not only do I not take any
21 reimbursement from Edison, I have prohibited
22 everybody in my research group and everybody
23 connected to my research from seeking funds from
24 Edison or any other kind of other compensation
25 from Edison, even though we work on micro grids,

1 and Edison does a lot of work on micro grids, a
2 lot of people think micro grids, including solar
3 micro grids, to your point, Gary, local solar is
4 one of the solutions future, we don't take any
5 funding from Edison for those purposes precisely
6 so that we don't create a conflict of interest,
7 because I'm committed as a volunteer to making
8 this CEP work effectively, and frankly, I think
9 it's working pretty effectively. Thank you.

10 DAN STETSON: Thank you, David. I also
11 want to address that because a question was really
12 addressed to all of the members of the CEP, so I
13 would like to go ahead and comment on that in that
14 as a volunteer, I've not received any direct
15 compensation for participating in the CEP.

16 As opposed to David, who hasn't even
17 accepted anything for reimbursement, I have been
18 reimbursed for a few things. I participated in a
19 number of conferences, I went back and toured
20 plants where they make the canisters, and I have
21 been reimbursed only for the expenses that I
22 actually put out, for instance, for my airline
23 tickets, and things like that, so I was reimbursed
24 for those.

25 There are a number of many other things

1 though that I didn't even ask for reimbursement.
2 Gary, you and I went out to breakfast, I picked up
3 the tab, Southern California Edison didn't
4 reimburse me for that. There's been many of
5 those, and it's just part of doing it.

6 However, in the interest of full
7 disclosure when I was working at Ocean Institute,
8 I worked there for 23 years, and I was president
9 for 11 years, during that time Southern
10 California -- to put in perspective, we -- I had
11 about 120 employees, we had about a 100,000
12 students coming through the programs a year,
13 budget was \$10 million, and I needed to raise
14 \$2.2 million per year through fundraising just to
15 break even. And Southern California Edison was
16 one of those folks we would go out to and ask for
17 funding, and the funding that they provided went
18 to what we called the Adopted Class Program, and
19 that was specifically earmarked for students from
20 Title 1 schools that couldn't afford to come here
21 on their own, and those funds went to cover them
22 so they could have an experience at the Ocean
23 Institute.

24 So while I was at the Ocean Institute
25 that I received a call from my contact at Southern

1 California Edison and he said, would you take a
2 call from the president of Edison, and I'm
3 thinking, yeah, maybe he's going to give us some
4 more money so we could bring some more kids here.
5 I did take a call, and lo and behold I was
6 completely disappointed he wasn't going to give us
7 any money and he asked if I would consider
8 volunteering to be on the CEP panel.

9 As any smart husband would do, I said,
10 well, I need to check with my wife. I went home
11 and my wife of 27 years she said hell no, you're
12 not going do that, you are crazy. There's nothing
13 good that's going to happen to you for doing that.

14 And I said, well, it's pretty important,
15 and I don't really have an agenda except for try
16 to be a conduit for accurate information. She
17 still disagrees that I accepted that. As I've
18 moved up to vice chair, she is still not happy
19 with that.

20 But I retired from the Ocean Institute in
21 2015. I don't know Southern California Edison is
22 continuing to support the program there, but I
23 certainly hope they do.

24 Finally, I was going to keep it
25 anonymous, but since the questions have come up, I

1 do have a small boat, and as Ron mentioned, I do
2 take out the staff from Surfrider, and we've gone
3 out and we've collected samples off of the
4 conduit, and shipped those back to Woods Hole to
5 get them analyzed.

6 I do that all on my own, I own the boat,
7 I pay for the slip fees. I don't ask them for any
8 reimbursement for the gas, which costs about \$100
9 a trip. Surfrider has promised me a T-shirt,
10 though, so I'm hopeful to getting that soon.

11 Also, to help with this effort, I work
12 now for the Nicholas Endowments. I suggested a
13 grant, which is going to be voted on tomorrow, of
14 \$5,000 which will go to Surfrider to help them in
15 covering the costs for this analysis.

16 So you know, Gary, like you, and like so
17 many of you here and those here on the panel,
18 we're only here because we're really interested in
19 having the spent fuel safely stored and hopefully
20 removed as quickly as possible.

21 And with that, you know, if there are any
22 other members of this CEP that would like to make
23 a comment, you know, I know you're all volunteers,
24 if you would like to a make comment about this, I
25 would like to welcome you now.

1 Yes, I see.

2 VICTOR CABRAL: I will make a comment.

3 I'm an elected official San Clemente. I was
4 compromised because I also got a piece of pizza.

5 I'm here for the same reason, like you, we're
6 trying to figure out what's happening, what's best
7 for the communities around here. I'd like -- like
8 everyone, we would like to see the spent fuel
9 moved. It's a long process, so it's not easy.

10 I've worked in the federal government for
11 25 years out of Washington, so I know what the
12 bureaucracy is like, and it doesn't move fast. It
13 moves very slow, and this process particularly is
14 a slow process. So I'm committed to helping on
15 that any way I can, and I'll look forward to being
16 on this panel.

17 DAN STETSON: And your wife is okay with
18 that?

19 VICTOR CABRAL: She said okay.

20 DAN STETSON: You don't have to answer
21 that.

22 VICTOR CABRAL: She said okay. She's mad
23 that I'm here tonight, though.

24 DAN STETSON: Martha, can you help me
25 with our next question.

1 MARTHA McNICHOLAS: This was -- I'm going
2 to go back to Cathy Iwane who spoke to us, on the
3 Paul Blanche issue, but what her questions are,
4 and I'll combine with the other questions about
5 Paul Blanche, her questions that she submitted
6 were three parts; one, is it is my understanding
7 that two spent fuel pools will be removed as part
8 of the SONGS decommissioning efforts. Can you
9 please provide me with the documentation from NRC
10 that authorized this removal of the two spent fuel
11 pools at San Onofre?

12 If this not available, does SCE plan to
13 request a licensed amendment request for this
14 removal similar to other decommissioned nuclear
15 plants? If you have no intention of asking NRC
16 for a licensed amendment request, how do you plan
17 on retrieving the spent fuel for repacking or
18 repairs without spent fuel pool or dry transfer
19 system on site?

20 I'm going to do these one at a time so
21 that we don't --

22 DAN STETSON: Good idea.

23 MARTHA McNICHOLAS: And I think that's a
24 Doug Bauder question.

25 DOUG BAUDER: Thank you. I can address

1 all three. I have them written down as well.

2 MARTHA McNICHOLAS: Do you want me to do
3 all three questions then?

4 DOUG BAUDER: Sure.

5 MARTHA McNICHOLAS: All right. Her
6 number 2 question was, It's also my understanding
7 that per communications with NRC that a failing
8 canister would be put inside an overpacked, sealed
9 metal cask. The NRC has not evaluated this except
10 at Big Rock Point where it was determined that
11 this solution won't work without the canister and
12 fuel eventually overheating. Please explain what
13 protocols SONGS workers are trained/prepared to
14 carry out in the event of a failing canister.

15 And C, the third one, in the past I was
16 informed that SCE is out of compliance with their
17 certificate of compliance for, A, above, and
18 please provide me with SCE's current certificate
19 of compliance.

20 Doug, I'll let you take all three of
21 those.

22 DOUG BAUDER: Thank you, I appreciate
23 that.

24 So regarding the first question regarding
25 the understanding that the two spent fuel pools

1 will be removed, that's correct. The second part
2 had to do with the licensing part of that removal.
3 We did receive a license amendment from the
4 Nuclear Regulatory Commission to transfer to ISFSI
5 only at that time the fuel was completed and
6 transferred to the dry fuel storage systems.

7 I actually have the ADAMS or the NRC
8 website address here where you can get look up and
9 click and get that license amendment to read it.
10 It's in the notes here that I have, and we'll post
11 that to the songscommunity.com website so you can
12 review the licensed amendment, if you like to, or
13 you can do your own search, anybody can, on the
14 NRC.gov website under the ADAMS system to search
15 for license amendments at San Onofre. It's not
16 all that difficult to do.

17 The license amendment we received
18 authorized us to an ISFSI-only organization and
19 actually prohibits us from transferring fuel back
20 into the plant to the spent fuel pools, which are
21 actually being demolished. Actually, Vince showed
22 pictures of the racks being removed earlier this
23 evening.

24 The second part of the question had to do
25 with, you know, the design function and

1 furthermore, what would happen if we had to go
2 into a situation where we detected something wrong
3 with the canister would we go to an over pack
4 situation. The answer to that is simply no. We
5 developed robotics for detailed inspection
6 protocols in the canisters, we've proven that
7 technology, we've made it public, we demonstrated
8 it for the Nuclear Regulatory Commission, even
9 though the probability of a canister ever
10 developing a crack is so remotely low, we still
11 have the technology in place to detect and the
12 technology in place to do a metallic overlay on a
13 canister developing crack and ameliorate that
14 crack from continuing to develop.

15 Furthermore, it's a very slow moving
16 situation, so we would have a lot of time. And
17 even if that was to occur, there would be no
18 radiological release from the site, because the
19 fuel is in fuel rods, and the fuel rods contain
20 fuel pellets. The fuel pellets geranium oxide are
21 very stable and would require extremely high
22 temperatures before anything adverse would happen
23 to the fuel pellets. The fuel is not liquid; it's
24 solid. And it's a very slow moving situation,
25 even in the remote low chance that something was

1 to happen.

2 I want to remind you that the canisters
3 are designed for a 60-year life, and their actual
4 service life is over a hundred years, and there's
5 NRC documentation around that.

6 Further, we participated in the aging
7 management system, which is required by the
8 Nuclear Regulatory Commission to inspect our
9 canisters and make sure we have an active aging
10 management plan.

11 The third part of the question has to do
12 with certificates of compliance it says A, above,
13 meaning the spent fuel pools, we don't have a
14 certificates of compliance for the spent fuel
15 pools as they're being demolished. I think
16 perhaps the intent of the question has to do with
17 the certificates of compliance for the fuel
18 storage systems. So we have certificates of
19 compliance for both systems, both the Holtec
20 system and the TN system or trans nuclear system,
21 which is a storage system in site and those
22 certificates are available.

23 We can also post on our website a link to
24 those certificates, which is part of the license
25 that we operate by.

1 I hope that answers it. There was quite
2 a few aspects to the question.

3 MARTHA McNICHOLAS: Okay. I think --

4 DAN STETSON: Thank you, Doug.

5 MARTHA McNICHOLAS: Sorry. Thanks, Doug.
6 You're probably up next anyway.

7 I think Alice McNally's questions was
8 similar to Gary Headrick's, I think we discussed
9 that.

10 Kalene Walker had couple of questions.
11 One that the current legislation doesn't allow new
12 nuclear unless there's a permanent repository.
13 She was talking about a specific legislation.
14 Doug, can you talk about that?

15 DOUG BAUDER: I believe that's referring
16 to current California law. Current California law
17 would not allow siting of a new nuclear plant
18 without a permanent repository in place, and I
19 think actively in place, meaning licensed and
20 operational, and we could study that more.

21 MARTHA McNICHOLAS: That's California
22 only, not nationally?

23 DOUG BAUDER: That's California only. We
24 may not be in the only state in that situation,
25 but that's how the law is here in California.

1 MARTHA McNICHOLAS: They were -- you
2 mentioned that there's something in New Mexico?

3 DOUG BAUDER: Hang on. Since current
4 legislation doesn't allow CIS unless there's
5 permanent repository and waste isn't going
6 anywhere, so it's sort of a -- there's probably a
7 couple parts to the question here or the
8 statement. There are two privately-owned CIS
9 facilities being proposed, one in West Texas and
10 one in New Mexico. And there's various
11 legislation going on around those facilities as to
12 whether or not they would end up being licensed or
13 not.

14 Regarding the current Waste Policy Act,
15 the Waste Policy Act, you know, for a
16 government-owned consolidated interim storage
17 facility would require that the federal
18 consolidated storage, the final resting place be
19 licensed before the interim storage facility could
20 be utilized. So there's an issue with the waste
21 Policy Act itself that would require change.

22 MARTHA McNICHOLAS: Dr. Victor, did you
23 have a comment?

24 CHAIRMAN DAVID VICTOR: Yeah, I want to
25 add to that. I'm going to set aside the question

1 of California law. There's some people excited
2 about building new nuclear plants in California, I
3 think that's a tough road, and in any case is not
4 relevant to our group.

5 But I was in New Mexico about four or
6 five days ago, five days ago, I guess, for some
7 meetings on how to improve the nation's climate
8 change policy strategy, big rethink underway, and
9 very encouraging. While I was there I had a
10 chance to talk to people in politics in New
11 Mexico, and this points to exactly why we're doing
12 what we're doing starting with the meeting we had
13 three days ago with all these different
14 communities that are getting organized around
15 community engagement panels.

16 The politics in New Mexico have shifted,
17 and they appear, maybe not permanently shifted,
18 but they are hard to make work. And they passed a
19 new law that would, on the face of it, not allow
20 interim storage in New Mexico. There's been a
21 similar, not quite the same, development in Texas,
22 and it under scores why one of the most important
23 things we need is a diversity of places to have
24 interim storage and a diversity of permanent
25 repository solutions so we don't have a monopoly,

1 so we're not stuck with one solution and only one
2 solution. And that's, you know, one of the
3 lessons that emerged from one of the experiences
4 in Finland, that's one of the lessons that emerged
5 from the experience in Canada. We need to learn
6 from those countries, and I'm very, very concerned
7 that we've got a stay focused on the -- politics
8 is shifting in a lots of different places. And
9 New Mexico, which we used to think was a reliable
10 place to send spent fuel on an interim basis is no
11 longer in that situation. Thank you.

12 MARTHA McNICHOLAS: Thank you. One of
13 the other questions that Kalene Walker brought up
14 was for Ron Pontes, an I think this was a slide
15 regarding testing for non-radiological
16 contaminants, and the question is why wouldn't you
17 sample for radiological, and I think that was two
18 different slides and two different tests. Can you
19 explain that?

20 RON PONTES: Let me explain. On that one
21 side, I did say that a group of people standing
22 around a well that had just been drilled, that
23 particular well was only for a non-radiological
24 sampling, for DTSC, for the Department of Toxic
25 Substances Control purposes. We had many other

1 wells on site that are for the purposes of
2 radiological monitoring for the water.

3 So yeah, sorry if I caused some confusion
4 about that particular well.

5 MARTHA McNICHOLAS: Okay. Charles
6 Langley, besides your comments here there was also
7 one you submitted. I understand measuring
8 radiation in water is difficult. How is SCE
9 testing water? Where can we see test results?
10 And CEP meetings should be a top priority for
11 Edison. I'm troubled that Paul Blanche has not
12 been allowed to speak.

13 I think there's two things, one is the
14 water reports, and if you would like to address
15 that Paul Blanche issue, or if there's somebody
16 else --

17 DAN STETSON: Maybe David.

18 MARTHA McNICHOLAS: David can discuss
19 that too.

20 Ron, why don't you --

21 RON PONTES: Yeah, I'll take that first
22 part. So there's for the water that we released
23 that has radioactive constituents, all of that is
24 reported to the Nuclear Regulatory Commission in
25 our annual effluence report, which we also report

1 on our website. So that's readily available. And
2 in that report is not only the radiological
3 emissions in water but also in air. It's fully
4 comprehensive in that respect.

5 With respect to other constituents,
6 non-radiological constituents, meaning the
7 reporting that we do to the San Diego Regional
8 Water Quality Control Board, I'm not exactly sure
9 where the public would find that data. I think
10 there's a way to get there through their website.
11 I'm not a hundred percent sure about that. We'll
12 do some research and get back to you on that
13 point.

14 But we report, we provide monthly
15 reports, quarterly reports, annual reports to the
16 Water Board, all kinds of reports, and we're
17 compliant except occasionally, as I mentioned
18 here, where we might have an exceedance.

19 MARTHA McNICHOLAS: Maybe an action item
20 is to see how we can link that to the community
21 website.

22 RON PONTES: We'll take that action.

23 MARTHA McNICHOLAS: Dr. Victor, do you
24 want to address the Paul Blanche?

25 CHAIRMAN DAVID VICTOR: Thank you very

1 much. Let me just build on what you said, Martha,
2 I think we need to put a link on the
3 songscommunity.com to the evergreen source of the
4 water quality reports, and maybe if we can get
5 that information quickly, let's put that as a
6 footnote too in the one page key takeaways
7 document that we produce after these meetings the
8 next day. That way people can see. I think it's
9 a really good idea from the public. We've had a
10 lot of good ideas like this. For example, the
11 perimeter radiation monitoring system that came
12 entirely from the public, and then it was then
13 turned into pretty effective, and I think very
14 responsive radiation monitoring program.

15 Let me just say three things. I'm kind
16 of triggered by the comments about Paul Blanche.
17 First, I don't think it's really appropriate to
18 talk about the merits and demerits of an
19 individual person, what their background is and
20 how many years of experience they've had. There
21 are a lot of people that have a lot of experience
22 in here.

23 I do think what Cathy Iwane said in her
24 remarks is very helpful, a good solution. Some
25 folks in the community want to hear from Paul

1 Blanche. That's terrific. They got a meeting on
2 May 23rd. If somebody can send us a copy of that
3 flier or other announcements for that meeting,
4 make sure we get those circulated to the CEP, put
5 on Songscommunity.com so more people know about
6 this. It's fantastic. It's a really good idea.

7 Second of the three things I wanted to
8 say about the agenda. I think where the comments
9 about Paul Blanche feed in is what are some of the
10 topics that the public wants to have engage with
11 expertise, and some of the things that Paul
12 Blanche have raised relate to topics like flooding
13 at the ISFSI, we had a discussion about this, NRC
14 oversight. That's really an NRC matter although
15 NRC has weighed quite extensively about this,
16 other kinds of risk including Tsunamic risks to
17 the ISFSI, and we've talked about this
18 extensively, and it's on the agenda regularly.

19 And so I was a little concerned to hear
20 remarks like the agenda is closed or not available
21 to the public. We several times a year put up a
22 list at the end of our meeting say, Hey, here's
23 what we're thinking about for a possible agenda
24 items for the future, anyone has any input, let us
25 know. And we got some input here and there, but

1 frankly, not a lot of input.

2 One of the things we've been doing as
3 members of the CEP is guiding the agenda so we
4 responsive to the community, and we also deliver
5 at least once a year a discussion about the long
6 term stewardship of the ISFSI.

7 Last thing I'll say is I heard what
8 Mr. Langley said about opening up the CEP meetings
9 to debate and so on. We've done that many times.
10 We did that in an unprecedented discussion way
11 back in the beginning when it came to identifying
12 the vendor or the technology for the new ISFSI
13 there. Nobody has ever had a meeting like the one
14 we had where we had brought in both vendors and
15 had them talk about the merits and demerits of
16 different kinds of strategies.

17 We took a -- we had a meeting, a
18 nonclassified meeting about terrorist risk to the
19 ISFSI, never happened before, to my knowledge. We
20 had a whole bunch of members of the community
21 contribute to the agenda for that. I think Gary
22 Headrick and many others were involved in those
23 meetings. We took a six months, if I remember
24 correctly, of repeated meetings and we had a
25 pandemic along the way, six months of preparation

1 of identifying questions, identifying experts,
2 making sure we didn't have all the same experts
3 but we had counter-posing views and debate. We
4 did all with like a five-hour meeting. It was
5 heavily attended, it's all on the web, so I'm a
6 little astonished by the comment, frankly, because
7 we've been trying to do exactly what Mr. Langley
8 has implored us to do.

9 MARTHA McNICHOLAS: And I apologize for
10 skipping over Nina Babiarz, but she had some of
11 the same issues as Charles and about open dialog
12 and what the charter is from Edison on CEP, and to
13 my knowledge, I think that's part of the -- and
14 maybe I'm not the one to comment on this, that's
15 pretty much best practice for any decommissioning
16 plant is to have a community engagement panel.
17 How those are chosen or how they're operated, I
18 think vary from state to state or operator to
19 operator. I'm only familiar with one other one,
20 and that was the Humboldt Bay Plant, and that's
21 operated differently than this one.

22 Doug, do you know a little more about
23 that, can you --

24 RON PONTES: About Humboldt Bay or --

25 MARTHA McNICHOLAS: No, about the

1 operation of the CEP and how, you know, I think
2 your comment about volunteers chosen and -- I
3 guess as a member of the CEP, I think we all
4 represent a variety of stakeholders, and we aren't
5 employees or necessarily fans of Edison, and we
6 bring what our constituents or what we hear in the
7 public, try to bring things up. For instance, our
8 two new San Clemente representatives.

9 DOUG BAUDER: I think my point of view
10 there is CEP is built to provide an open dialogue
11 between the utility and community, and we expect
12 challenge by the CEP, by the panel itself, we get
13 it, and we want to be very open with what's
14 happening at the station.

15 And, you know, that's you see Ron here
16 tonight who talked not just about the good with
17 respect to what we do environmental but about this
18 issues that we've had, couple of exceedances that
19 we've had, how we communicate to the San Diego
20 Quality Water Control Board, what we do about it.
21 He talked about concrete dust in detail about what
22 happened there, because we want challenge from the
23 panel, we want the community to know, and so
24 that's why I look at the fundamental purpose.

25 MARTHA McNICHOLAS: I guess one of my

1 questions with regard to one of Nina's comments
2 was that a CEP panel member was removed, which I
3 don't know of any CEP panel member that has been
4 removed.

5 DAN STETSON: David, do you want to
6 address that?

7 CHAIRMAN DAVID VICTOR: Nina said I had
8 the person removed, unless I had an out-of-body
9 experience, I'm not involved in choosing the CEP
10 members, and I believe in the case we're thinking
11 about, and I forget the name off the top of my
12 head, I'm having a senior moment here, it's after
13 11 o'clock at night in DC, that was a member who
14 was chosen by her community, her elected official
15 from the community, and the community chose
16 somebody different.

17 Isn't that of the kind of idea is that
18 individual communities are all in various ways
19 affected by this. They choose individual members
20 who are on the CEP, just like folks sitting around
21 the table tonight, and the community chose
22 somebody different. I had no involvement with
23 that process.

24 MARTHA McNICHOLAS: Okay.

25 DAN STETSON: Victor, can you add onto

1 that, please.

2 VICTOR CABRAL: First of all, we're
3 elected by the city, and then among the members of
4 the city council, they choose one of us to be a
5 representative and one of us to be an alternate.
6 Other than that, I have no relationship with the
7 this organization other than being appointed by my
8 colleagues on the San Clemente City Council.

9 DAN STETSON: So SCE didn't necessarily
10 pick you, they went to the city, and you were the
11 one that won?

12 VICTOR CABRAL: Yes. I wouldn't say won
13 but --

14 MARTHA McNICHOLAS: I think that's all
15 we've got on questions or comments, unless there's
16 anything else from the CEP.

17 DAN STETSON: Any other members here from
18 the CEP who would like to make any comments or
19 anything?

20 ALYSSA NAPURI: Nice to meet all of you.
21 My name is Alyssa Napuri. I'm Katrina Foley's
22 deputy chief of staff, and I have the lucky draw
23 of covering both Dana Point Harbor and SONGS, as
24 well as our climate change portfolio and our
25 transportation portfolio. So if you see anything

1 happening in Orange County, we just have our
2 railroad tracks falling into the ocean, the
3 decommissioning of SONGS, and the revitalization
4 of the harbor. So it's been a pretty fun couple
5 of months.

6 The supervisor is really sorry to not be
7 here today. She had an OCFA meeting. She doesn't
8 take nights off. If you ever see me here, you
9 know she has some other previous scheduled meeting
10 on her calendar.

11 She wanted me to share that she's excited
12 to serve on the CEP, as well as co-chair of the
13 Spent Fuel Solutions coalition and, again, we're
14 going to learn all these acronyms, because I just
15 learned ASFSN, and now we've changed it.

16 But you know, one of the key tenants of
17 the supervisor's whole service is transparency and
18 accessibility whether we agree or not on every
19 issue, feel free to reach out to our office. Our
20 phone number for anyone that's here -- we'll also
21 have this public -- is 714-834-3550, and as a
22 millennial, that's one the four numbers that I
23 have memorized. So you should know that's pretty
24 easy.

25 Also, her e-mail, her direct e-mail she

1 replies to this much more than the other stuff
2 that gets the e-mail as well, is
3 katrina.foley@ocgov.com.

4 One of the previous speakers said they
5 reached out to both of the co-chairs of the
6 coalition, so I reviewed all the e-mails we've
7 received, and I didn't see a copy, but there was a
8 big transition period from November to February
9 when we became the co-chairs of this coalition, so
10 I want you all to know if you're here, you can
11 have my contact information as her staffer
12 dedicated to this, and we're available for any
13 questions and feedback that you have.

14 So we're excited to be here and serve on
15 the commission or the coalition or the CEP with
16 everyone here.

17 DAN STETSON: Great.

18 Mike, so any last comments or thoughts?

19 MIKE BALSAMO: Thank you for having me.
20 I'm proud to represent the South Orange County
21 coalition. I don't have any other comments. I
22 appreciate everyone's interest and passion on the
23 issue and look forward to learning more over time.
24 Thank you.

25 DAN STETSON: Marni, anything that you

1 would like to add?

2 MARNI MAGDA: Thankful to be here and
3 having everyone work hard to come up with
4 solutions.

5 DAN STETSON: I think that concludes
6 public comment, and if there are any questions
7 afterwards, we'll remain up here for anyone in the
8 audience who would like to come and speak to us
9 after the meeting ends.

10 GARY HEADRICK: (Unintelligible.)

11 DAN STETSON: Go ahead, Gary.

12 GARY HEADRICK: I don't know if they can
13 hear me. Thank you for allowing me this. I
14 wanted to clarify the question Cathy Iwane was
15 presenting, and I think it might be misunderstood
16 by Doug Bauder, because the situation, as we
17 understand it, is you either have a spent fuel
18 pool or you have to have a dry transfer facility.
19 What we're asking for what's the licensed
20 amendment that allows you to destroy the spent
21 fuel pool but not have a hot cell, the dry
22 transfer facility, because it's required that you
23 have either one?

24 DOUG BAUDER: Actually, it's not.
25 There's no requirement for a dry cask facility in

1 order to manipulate or do anything with canisters
2 once they're safely stored. It is not
3 something -- it's not something that would we
4 totally exclude in the far future if there was an
5 issue that developed, but there's no license
6 requirement for it.

7 GARY HEADRICK: So you're going to
8 destroy the spent fuel pools, and if something
9 doesn't go exactly as planned, we have no plan B
10 in action, we would have to wait until you solve
11 the problem while a canister is leaking; is that
12 right?

13 DOUG BAUDER: I tried to address this in
14 terms of the low probability of a canister issue,
15 the inspection protocol that we have which
16 involves robotics and other methods and then the
17 overlay process we would use if we found a defect
18 to get out in front of it. These are things that
19 we can do under our existing programs without a
20 license amendment.

21 GARY HEADRICK: A lot of times --

22 DAN STETSON: Gary, if there's --

23 GARY HEADRICK: I want to clarify, a lot
24 of times our questions are considered not
25 credible, whether it's terrorism or whatever, I

1 think your answer is not credible. Thank you.

2 DAN STETSON: Thank you very much, Gary.
3 And thank you, Doug, for that. If there's any
4 other questions if you want to come up after the
5 meeting, the members here will be happy to go
6 ahead and answer them.

7 If we can go ahead and move to the next
8 slide if we could, please. And, Doug, would you
9 like to.

10 DOUG BAUDER: Sure, thanks, Dan.

11 I want to, first of all, thank the staff
12 and the folks who put the meeting on tonight.
13 Takes a lot of effort, audio/visual, have a hybrid
14 meeting like this, it's nice to see it.

15 I want to reflect on it seemed like the
16 dialog, Dan, the back and the forth with the
17 challenge was more real time, and it was better
18 then when we're all online. That's what I'll say
19 about that. I appreciate that as well. It's nice
20 to see people in person.

21 I'll go back to our purpose here, which
22 is to be open about our successes and challenges
23 in decommissioning, and we will continue to do
24 that to the very end, and we will follow the three
25 principles I discussed which have to do with

1 safety, stewardship, and engagement, and this is
2 one of the most important pieces of engagement
3 that we do. Thanks.

4 DAN STETSON: Thank you, Doug. If we can
5 move onto the next slide.

6 And David and I are going to team up here
7 on some of the key takeaways. First of all, with
8 reference to some of the things that resonated
9 with me is that the decommissioning seems to be
10 proceeding on track, on budget. It's great there
11 have been no further injuries since the incident
12 that took place close to a -- actually more than a
13 year ago.

14 There's been two things that have popped
15 up, one where there was a small oil leak, and then
16 there was also the failed test with the sea
17 urchin, and both of those were addressed. We
18 appreciate that those were presented to us in a
19 transparent fashion and that Southern California
20 moved forward to address those and make sure they
21 were corrected.

22 Also, I think really something that
23 resonated with me, even though there have been
24 changes in the exclusion and the controlled areas,
25 even though I really didn't -- even though it's

1 been explained to me two or three times, I didn't
2 fully understand the whole thing, but the part
3 that I do understand is that there's been no
4 relaxation in the amount of safety requirements
5 and that those are still in place.

6 So, David, if you could help me with all
7 the different pieces that I've missed.

8 CHAIRMAN DAVID VICTOR: I'm delighted to
9 be in your slip stream. Let me first echo Doug's
10 comment on the value of present humanity, and I
11 regret not being there in person, because there's
12 nothing like meeting in person, having a chance to
13 talk about things and go back and forth. So I
14 really want to us to continue moving in the
15 direction of in-person meetings.

16 In terms of takeaways, I think I'm going
17 to say four things, possibly five things. We're
18 in inflationary times these days. First, is we're
19 building a coalition with the benefit of spent
20 fuels solutions group and the various communities
21 around the country that we reached out to. I
22 think we need to tell the public about one of the
23 outcomes -- one of the discussions was today.

24 Second is exactly the point you made in
25 the beginning, Dan, which is about making a lot of

1 progress. I was really struck that about half of
2 the ground structure will be done and also the
3 greater than class C will be completed by late
4 this summer. That's a huge milestone in addition
5 to being on budget and on schedule. Those
6 particulars seem to be very important. That's the
7 second point I want to make.

8 The third is to echo something you said,
9 Dan, which is the footprint, the exclusion zone
10 footprint is shrinking, attention to safety is
11 not. I found tonight to be extremely helpful, in
12 particular, to the point that was made that during
13 operation -- during the operations of the plant
14 there were more than 80 scenarios by which a bad
15 thing could happen on the plant, now there are
16 three, and none of them result in the radiological
17 release outside of the boundary and that's the
18 logic, that's risk-based, science-based logic. We
19 say in so many areas of life vaccines, climate
20 change, we talk about science. Here is science
21 talking about risk. That seems to be a pretty
22 important point. That's third point out of the
23 takeaways.

24 The fourth point is an update on the
25 environmental issues. I think it's worth us

1 mentioning in this kind of summary that comes out
2 of today's meeting, that there's an extensive
3 environmental testing program. Let's have a
4 footnote, if we can, to where people can get more
5 information including test results. I think that was a
6 very helpful comment. And we ought to have a
7 little summary of where we are with the permits
8 that failed, oily discharges, and so on so people
9 have the sense of what the plan is on that,
10 because I have no doubt members of the public will
11 hear about that, and they should get more
12 information about it if they want it.

13 Those are the main takeaways that I took
14 from it, very much resonating with what you said,
15 Dan, so thank you very much.

16 DAN STETSON: Move onto the next slide,
17 please.

18 David, do you want to touch on these?

19 CHAIRMAN DAVID VICTOR: This is our
20 secret agenda for the rest of the year. This is
21 the agenda that has emerged over the course of the
22 discussions that we have every year about what
23 should be in the agenda for the next year. We had
24 a meeting on environmental stewardship. We have
25 one about once a year, including an update on the

1 Wheeler Reef. I appreciate there's a meeting
2 coming up about that, so I'm looking forward to
3 hearing more about that.

4 We have a couple of so-called
5 consultation meetings where the CEP members get
6 together and talk about what they're hearing about
7 the plant and what we can do to improve our
8 meetings and so on.

9 Second quarter meeting will be, because
10 so many people have expressed interest in the
11 federal program in this area, and we're going to
12 have a meeting on the federal program. I believe
13 we invited the key person at the Department of
14 Energy to come to that meeting to talk about the
15 funding program and what their interim storage
16 ideas are and things like that. By then this
17 coalition should be further advanced with real
18 talking points, and we should have somebody from
19 our coalition talk about that as well.

20 The third quarter meeting is an update on
21 where we are with the decommissioning process, not
22 just a short summary, what Doug gave in the
23 beginning, Doug and Vince gave in the beginning,
24 but a whole meeting focused on that with
25 decommissioning solutions there to talk about what

1 they're doing, what they're learning and so on.

2 And then the fourth meeting of the year
3 is the defense-in-depth meeting that we promised,
4 because the public has asked for it, quite
5 rightly, and we agree, and I think everyone in the
6 panel has agreed this is a good idea, have once a
7 year an update on where we are on same major topic
8 related to the defense-in-depth so that we have
9 confidence that this spent fuel, so long as it
10 stays here, it's safe, and that's what the fourth
11 meeting is.

12 That's the plan for this year. And if
13 people have disagreements or other ideas about the
14 plan, I'd love to know about them, I'm sure other
15 members of the panel would love to know about them
16 and in the world of tradeoffs, we'll talk about
17 what should be done, so thank you.

18 DAN STETSON: And let's move onto the
19 what I believe is the final slide. So we want to
20 thank everyone. Also real quickly, in addition to
21 the for those of you who are new in the CEP in
22 addition to the meetings that we have on a
23 quarterly basis, as David mentioned, we often had
24 other meetings. We had tours down to Scripps
25 Institution of Oceanography, and we've have other

1 meetings that have been specifically focused on
2 certain areas of interest to the public. And as
3 things come up, I'm sure in the future we may have
4 some of those as well.

5 Once again, I want to thank all of you
6 for attending, I want to thank my fellow members
7 on the CEP, I want to thank the staff here for
8 Southern California Edison, for all of those
9 behind the scenes that have made this possible,
10 those who are attending at home and certainly
11 those who are here in person, thank you very much
12 for your attention and your patience and really
13 let's help Supervisor Desmond as he makes his move
14 to senator. Thank you all.

15 (Meeting Adjourned)

16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE
OF
CERTIFIED SHORTHAND REPORTER

I, the undersigned, Certified Shorthand Reporter of the State of California do hereby certify:

That the foregoing proceedings were taken remotely before me at the time and place therein set forth; that a verbatim record of the proceedings was made by me using machine shorthand which was thereafter transcribed under my direction; further, that the foregoing is an accurate transcription thereof.

That if the foregoing proceedings were reported stenographically remote from the witness and parties, the transcript of the proceedings reflects the record that I could hear and understand to the best of my ability.

IN WITNESS WHEREOF, I have this date subscribed my name



Certificate Number 12983

[& - abundance]

&	1500 64:18	26 18:21	6
& 4:2	15014 136:24	27 103:11	6 16:18 18:24
0	15th 22:19	28,000 54:23	61:17,20
0.1 61:20	16 18:17,24	3	60 110:3
1	16th 6:15	3 32:10 33:2	6th 52:23
1 1:20 21:24	18 64:3,4	34:2 36:19	7
36:16 102:20	18th 22:17	38:2,8 39:25	714-834-3550
1.5 67:14	19 5:13	44:9 50:17	124:21
1.9 59:6,9 66:3	1972 51:10	59:4,21 71:17	8
10 102:13	2	30 64:2	8 4:10
100 59:15 63:10	2 27:21 33:3	31st 18:22	80 63:10 131:14
71:6 72:13	34:3 35:13	32 74:10	82 77:5
74:5,19,23	36:19 40:19	33 87:11	83 4:10
104:8	45:7 53:18	36 34:9	8300 64:16
100,000 59:14	59:4,11 64:14	4	8:00 17:19
64:1 102:11	71:17 107:6	40 64:24	a
10cfr20 52:13	2.2 102:14	48 60:2	a.m. 17:19
10cfr50 52:14	20 43:9,10	5	abbreviated
11 102:9 122:13	2000 71:20	5 16:21 71:9	6:24
12 57:22,23	2015 103:21	82:22	abbreviating
64:3,17	2023 1:13 2:11	5,000 104:14	7:1
120 59:15	5:2,8 19:22	5/8ths 37:17	ability 136:19
102:11	2024 59:24	50 64:24 72:21	able 20:19
123 46:5	20th 13:15	73:14 82:5	23:13,16 46:9
12983 1:18	21st 57:4	94:20	above 28:17
136:25	23 1:13 2:11	500 32:16	32:21 33:22
12th 53:3,5	5:2 102:8	52 46:9	54:19 107:17
13 46:3	232,000 59:13	5698376 1:19	110:12
136 1:20	61:19	5:31 2:11	absolutely 68:7
14,000 63:13	23rd 5:7 85:3	5th 3:13 17:4	92:11 96:9
64:7	118:2	79:21	abueg 3:12
145 44:21	24 56:8 59:24		11:2
150 42:25	240 66:4		abundance
	25 35:23 105:11		73:23

[academic - agreed]

academic 97:9 accelerated 57:22 accepted 101:17 103:17 access 73:14 accessibility 124:18 accident 71:8 71:23 accidents 29:6 72:7 77:9,20 accordance 54:17 account 67:14 accounted 68:2 68:3 accumulate 68:18,19 accumulating 70:5 accumulation 60:16 61:12 accurate 103:16 136:14 accused 89:18 90:6 achieve 80:11 acknowledged 54:8 acknowledging 17:17 acronyms 11:14,17 124:14	act 28:4 51:9,9 51:10,24 100:5 100:7,8,9 112:14,15,21 acting 19:23 action 41:5 77:5 116:19,22 127:10 activate 46:10 activated 62:25 active 110:9 actively 47:21 95:16 111:19 activities 31:9 70:22 activity 42:16 62:19 actual 110:3 actually 7:12 10:1 17:19 23:17 24:14,18 24:18 26:19 29:9,11 37:2,8 37:25 38:20 39:23 46:14 57:19 78:6 87:21,24 90:3 91:10,20,25 92:15 94:3 95:2 99:1 101:22 108:7 108:19,21,21 126:24 129:12 adams 108:7,14	add 77:24 89:8 99:17 112:25 122:25 126:1 addition 19:16 22:24 61:3 131:4 134:20 134:22 additional 29:18 41:19 address 22:8 28:25 85:13 101:11 106:25 108:8 115:14 116:24 122:6 127:13 129:20 addressed 84:20,21 101:12 129:17 addressing 26:19 85:2 adequacy 24:7 adequate 24:8 35:19 adjacent 31:14 adjourned 135:15 adjudicated 24:19 administered 51:20 administrative 24:19 26:16 76:10 administrativ... 76:6	adopted 102:18 advance 15:9 81:13 advanced 133:17 adverse 109:22 advocating 28:23 affect 27:8,10 affected 76:24 122:19 afford 102:20 agencies 48:20 49:13 78:20 agency 49:10 52:8 75:20 agenda 6:21,22 103:15 118:8 118:18,20,23 119:3,21 132:20,21,23 aging 110:6,9 ago 6:15 9:22 10:15 13:15 14:1 22:17 29:10,11,12 32:7 45:8 50:17 94:13 96:15 99:1 113:6,6,13 129:13 agree 124:18 134:5 agreed 17:24 134:6
--	---	---	---

[ahead - area]

<p>ahead 15:13,25 16:2 21:10 31:9 37:22 42:1 43:15 44:6 46:17 82:11,13 85:10 85:12 88:1 101:13 126:11 128:6,7 air 47:14 48:12 48:23 50:4,5,9 50:14 60:12 116:3 airline 101:22 al 97:15 alert 89:22 alice 46:13 85:17,18,19,21 111:7 alignment 33:20 allow 18:25 72:22 86:16 111:11,17 112:4 113:19 allowed 18:20 58:13 91:15 94:25 115:12 allowing 84:22 126:13 allows 26:8 51:7 126:20 altering 90:7 alternate 3:12 3:18 11:5,11,20</p>	<p>11:24 123:5 alternates 11:3 alyssa 11:11,16 42:19 43:3,11 44:3 123:20,21 amazement 7:22 ameliorate 109:13 amendment 106:13,16 108:3,9,12,17 126:20 127:20 amendments 108:15 american 99:7 amount 18:20 60:4 65:5,6 74:24 130:4 analysis 45:5 60:23 104:15 analyze 60:16 60:20 analyzed 50:12 54:18 104:5 analyzes 57:11 anders 34:1 36:10 anderson 3:7 77:24 animals 47:15 60:19 anion 62:9 announce 18:23 19:20</p>	<p>announced 18:7 announcements 118:3 announcing 5:17 annual 91:13 92:9 115:25 116:15 annually 60:25 anonymous 103:25 answer 23:5 43:14 82:18 95:21 105:20 109:4 128:1,6 answered 81:17 answers 111:1 anticipate 43:4 anticipating 59:22 anybody 14:24 80:5 93:3 108:13 anymore 68:17 70:16 72:4,8,9 73:1,12 79:5 anyway 111:6 apart 66:23 90:15 apologize 34:20 81:13 120:9 apparently 58:23</p>	<p>appear 25:18 113:17 applaud 41:13 applications 18:22 applies 30:25 31:2 apply 50:25 appointed 11:24 123:7 appointees 11:7 appreciate 18:3 19:13 21:16 65:4 107:22 125:22 128:19 129:18 133:1 approach 6:7 45:1 61:25 appropriate 82:18 117:17 appropriations 18:19 approval 73:5 approve 53:8 approved 74:3 approximately 37:1 april 22:19 29:9 53:3,5 79:21 80:19 archeological 48:17 area 8:8 9:23 17:16 22:8 29:15 33:1</p>
---	--	--	---

[area - bauder]

38:6 39:10 42:11,12 44:9 45:23 47:2 55:23 59:21 70:19,20,24 71:2,5,6,6,11 71:19,24 72:1,3 72:11,12,20,21 72:23 74:2,5,14 74:14,17 76:24 77:16 78:7 79:18 80:6,8 95:13 133:11 areas 22:8 32:23 47:21 48:4,6 59:7,23 70:13,17,18 73:14 80:12 129:24 131:19 135:2 arena 52:25 areva 39:19,21 armed 76:13 arrives 43:19 arrow 50:4 articles 25:8 asfsn 124:15 aside 112:25 asides 76:5 asked 14:2 16:19 74:9 82:16 103:7 134:4 asking 83:24 86:5 100:9	106:15 126:19 aspects 30:15 87:4 111:2 assemblies 36:14 assessment 78:4 assignment 1:19 assistant 19:24 associate 19:23 astonished 98:7 120:6 astonishing 97:6 atom 66:20 attacking 99:5 attempting 74:11 attendance 83:14 attended 86:21 120:5 attendees 3:1 attending 80:18 135:6,10 attention 12:13 41:13 89:5 131:10 135:12 audience 23:23 23:25 126:8 audio 9:21 10:8 128:13 authority 70:22 71:24	authorized 106:10 108:18 automatic 63:19 auxiliary 31:14 available 22:15 70:3 78:14 82:7 85:4 97:1 106:12 110:22 116:1 118:20 125:12 awards 18:24 aware 25:7 60:1 awareness 47:11 48:9	108:19 116:12 119:11 128:16 128:21 130:13 backfilling 32:12 background 79:2 117:19 backwards 96:20 bad 131:14 baffling 87:3 balsamo 125:19 band 3:8 barbara 79:25 barrel 38:14,15 barriers 77:10 bartlett 3:12 10:14 11:4 based 18:11 29:20 58:19 77:1 131:18,18 basic 97:6 basically 18:13 18:25 24:5 28:12 49:5 52:18 61:4 72:13 74:13 basis 18:15 49:5 71:8 114:10 134:23 batch 8:10 55:9 59:3 batches 59:14 bauder 3:21 7:18 21:12,15
		b	
		b 33:16,25 36:10 69:10 127:9 babiarz 90:24 90:25 120:10 back 5:16 10:3 14:20,23 15:18 16:22 23:12 29:3,9,17 30:17 36:16 41:5 42:3 52:22 57:14,25 58:1 58:18 63:6 65:10 69:2 71:3 74:16 81:10 100:12 100:18 101:19 104:4 106:2	

[bauder - briefing]

25:16,23 26:2,6 26:22 27:10 28:16 29:8,11 29:24 30:4 106:24,25 107:4,22 111:15,23 112:3 121:9 126:16,24 127:13 128:10 bay 120:20,24 beach 53:3 60:18 73:16 80:22 beating 54:3 beautiful 80:7 becoming 19:1 bed 62:9,9,9 beds 62:8 beginning 7:4 12:5 33:5 92:25 119:11 130:25 133:23 133:23 behalf 17:12 behaves 68:12 behold 103:5 believe 29:21 88:14 91:24 95:19 111:15 122:10 133:12 134:19 believing 87:1 benefit 13:20 90:11,12,12	130:19 bent 96:19 best 23:5 81:17 90:3 105:6 120:15 136:19 beta 66:24,24 better 13:9 17:10 128:17 beyond 74:14 77:14 big 21:14 24:9 34:11 40:21 50:20 53:19 54:4 65:4,22,23 66:12 68:5 71:3,17 79:17 87:17,18 107:10 113:8 125:8 bigger 67:6,22 72:18,18 73:15 bill 18:19 87:5 bills 100:17 bilovsky 3:22 7:20 30:6 34:8 34:12,15 35:6 37:1,10,14,17 37:21,24 39:20 39:23 40:9,14 42:6,10,23 43:6 43:15 44:6 45:20,25 46:3 bioaccumulate 65:22 67:8 68:10,11	bioaccumulates 65:19 biological 58:10 biologist 48:2 bipartisan 19:14 bird 47:18 birds 47:22 48:7 bit 8:3 16:22 20:9 27:5 37:8 41:9 43:7 58:21 59:15 61:20,23 65:6 67:2 71:15 75:4,6 black 32:24,24 blade 34:8 blanche 83:25 94:14,14 106:3 106:5 115:11 115:15 116:24 117:16 118:1,9 118:12 block 35:21 blocked 66:25 blowers 89:5 blue 9:13 33:1 74:13 board 3:4 17:25 49:1 51:22 52:17,22 52:23 53:7,7 55:4 59:6	116:8,16 121:20 boards 51:20 84:8,9 boat 104:1,6 body 71:10 122:8 bolted 39:4 bolts 25:10 bones 68:16 book 61:5 bother 90:3 bothering 99:13 bothers 90:6 bottom 33:23 60:18 boundaries 71:1 72:22 75:5 boundary 8:8 71:3,19 72:12 73:15,17,21 74:2,3,5,18 77:14,21 131:17 box 23:4 break 81:10,18 102:15 breakfast 102:2 breaks 66:23 breathe 67:5 brief 6:22 briefing 25:3
--	---	--	--

[bring - cask]

bring 14:3 16:16 103:4 121:6,7 bringing 74:16 brings 36:1 broad 29:1 brought 38:2 89:4 95:6 114:13 119:14 brown 3:11 bubble 42:8 74:12 bucket 28:8 budget 25:19 91:13 102:13 129:10 131:5 budgeting 27:9 buffer 48:6 build 99:11 117:1 building 32:10 33:2 38:3 40:18 44:10,22 53:19,20,23,25 75:22 113:2 130:19 buildings 31:14 31:22 32:1,25 36:18 50:22 53:17 built 30:22 79:17 121:10 bunch 14:9 119:20	bureaucracy 105:12 burn 86:23 busy 6:22 71:15 buy 20:10,25 byproducts 69:3	86:2,17 91:4,20 92:4 93:21 94:1,15 102:3 102:10,15 103:1,21 111:16,16,21 111:23,25 113:1,2 129:19 135:8 136:6 call 13:2 27:21 28:4 36:6 38:19 69:25 82:21,24 99:1 102:25 103:2,5 called 7:1,4 8:7 22:4 25:2 30:11 35:8 50:21 51:4 58:3 60:10 76:1 102:18 133:4 calling 16:17 calman 32:15 camargo 4:2 camp 3:19 78:1 78:9 canada 7:13 17:21 20:5,5 114:5 canadians 20:6 canister 36:22 37:4,4,5 39:6 76:18 107:8,11 107:14 109:3,9 109:13 127:11	127:14 canisters 12:19 36:15,23 37:9 46:4,5 74:25 101:20 109:6 110:2,9 127:1 capistrano 3:4 3:16 78:22 capital 27:7 captain 3:8 captured 27:15 car 96:20 card 15:22 16:1 16:24 cards 15:19 care 29:18 47:1 47:5 carefully 69:8 69:13 carried 54:2 carry 54:15 107:14 cars 32:17 42:21,24 43:9 43:16 case 35:22 38:7 51:18,21 53:18 57:2 58:17 60:14,19 62:7 67:7 70:18 95:12 113:3 122:10 cases 26:4 cask 107:9 126:25
	c c 33:16,17,25 35:12 36:3,5,10 42:21 45:18,19 45:23 69:10 73:22 107:15 131:3 cab 72:13 cabal 98:11 cable 44:21 cabral 11:20 69:2 105:2,19 105:22 123:2 123:12 cal 80:21 84:16 calculate 62:19 65:18 calculations 74:20,21 calendar 124:10 california 1:3 2:3,10 3:2,14 3:20 5:1,16 13:5 24:11,22 47:18 49:4 51:19,20 60:22 74:10 78:21,22		

[cast - choose]

cast 39:7,8 catch 41:17 categories 27:19 33:14 category 28:7 30:1 33:25 cathy 19:16 82:25 83:1,3,4 83:8,10 85:8,9 85:15 89:10 92:4 106:2 117:23 126:14 cation 62:9 caucus 19:5,9 19:12 cause 60:8 67:2 97:10 caused 54:14 115:3 causing 50:8 57:17 58:6,15 caution 73:23 cavities 59:5,8 cavity 38:5 39:11 cell 126:21 center 31:16 71:20 78:4 79:22 central 7:25 97:17 ceo 3:11 cep 1:1 3:2,3 5:7 8:16 10:13 11:8 15:23	16:6,10,17,23 21:9 30:7,10 46:9 53:13 82:7 83:15,25 84:4,21 86:7 90:14 91:8,15 91:18,20 92:8,9 92:14 93:6 96:4 98:3,16,18 101:8,12,15 103:8 104:22 115:10 118:4 119:3,8 120:12 121:1,3,10,12 122:2,3,9,20 123:16,18 124:12 125:15 133:5 134:21 135:7 certain 135:2 certainly 30:25 80:18 81:17 103:23 135:10 certificate 107:17,18 136:1,25 certificates 110:12,14,17 110:18,22,24 certification 25:5 certified 24:21 136:3,5 certify 136:7	cesium 67:23 69:7 cetera 84:9 chair 5:5 9:1,6 17:6,7 19:18 103:18 124:12 chaired 13:13 91:18 chairing 5:22 5:24,24 chairman 3:2,5 5:4 9:16 12:3 26:25 28:14 34:13,17,24 35:5 45:15,21 46:1 75:10 86:3,6 96:9 99:21 112:24 116:25 122:7 130:8 132:19 chairman's 14:15 chairs 83:19,21 84:1,14 125:5,9 challenge 121:12,22 128:17 challenges 128:22 chambers 53:4 chance 85:14 96:7 109:25 113:10 130:12 change 12:23 13:6 16:11	69:14 78:13 97:14 112:21 113:8 123:24 131:20 changed 124:15 changes 10:12 19:4 21:21 52:21 70:18 99:2 129:24 changing 78:10 characterize 60:5 88:23 charcoal 62:7 charges 89:20 charles 88:3 90:21 93:8,9,9 95:4 96:14,22 98:2 115:5 120:11 charter 91:8,16 91:20,25 93:2,6 120:12 chat 82:19 check 99:13,23 103:10 checking 41:19 88:15 97:5 chemical 58:10 chemicals 49:23 chief 3:21 7:17 21:13 123:22 choose 122:19 123:4
--	---	---	--

[choosing - comments]

choosing 122:9 chose 122:15 122:21 chosen 120:17 121:2 122:14 chris 11:5 christian 3:12 11:2 chronic 56:2 57:15,16 chuck 19:10 circulated 118:4 cis 112:4,8 cities 18:17 citizens 94:5 city 3:10,16,18 10:17 53:3,4 78:22 123:3,4,8 123:10 clarify 126:14 127:23 clarifying 42:18 class 33:15,17 35:12 36:3,5,9 41:1 42:4,13,21 43:1 45:18,19 45:23 69:10,10 69:12 73:22 102:18 131:3 classified 33:12 35:12 clean 51:8,9,24	cleaned 62:5 63:12 cleanup 8:10 62:5 clear 89:25 90:18 clearly 70:4 78:25 clemente 11:5 11:19 43:25 76:24 77:18 79:22 88:8 105:3 121:8 123:8 click 23:4 70:10 108:9 climate 97:14 113:7 123:24 131:19 clive 36:9 41:2 42:14 43:2,23 44:2 69:16 close 12:13 16:18 17:9 20:14 35:18 54:20 63:18 67:17 71:22 79:1 129:12 closed 118:20 closely 90:17 100:12 closer 23:6 64:4 77:8 clouding 86:24	clouds 9:14 club 3:15 cno 3:21 7:17 coalition 6:24 6:25 7:3,3,9 17:6 19:21 124:13 125:6,9 125:15,21 130:19 133:17 133:19 coalition's 7:12 coastal 47:19 coastkeeper 3:11 cobalt 67:23 69:7 cochair 19:9 coffee 96:21 colleagues 96:23 123:8 collect 50:11 60:14,15,17,18 60:19 69:6 collected 60:25 104:3 collecting 28:10 collects 68:15 colvin 11:2 combine 106:4 come 9:7 46:7 47:9 57:25 71:3 81:10 85:4 89:11 94:25 96:19 100:3 102:20	103:25 126:3,8 128:4 133:14 135:3 comes 15:20 35:17 55:7 56:4 64:6 132:1 comfortable 10:1 coming 9:14 40:19,22 43:8 52:16 56:6 64:22 70:18 79:21 88:22 94:11 102:12 133:2 commencing 2:11 comment 4:8 8:23,24 15:11 15:12,16,18 46:16 52:20 75:12 76:7 82:1,5,7 87:9 91:4 101:13 104:23,24 105:2 112:23 120:6,14 121:2 126:6 130:10 132:6 commentator 82:24 comments 8:17 14:25 15:17,25 26:19 52:21,24
--	---	---	--

[comments - conduit]

52:25 80:15 82:11 95:19 98:8,17 99:13 115:6 117:16 118:8 122:1 123:15,18 125:18,21 commerce 19:18 commercial 94:22 commission 24:23 26:9 49:12 52:12 61:2 75:18 108:4 109:8 110:8 115:24 125:15 commissions 24:12 commitment 18:4 84:5 committed 101:7 105:14 committee 10:14 19:19 common 54:12 55:7 99:7 communicate 84:23 121:19 communication 91:23 communicati... 107:7	communities 13:8,9 14:4,19 15:1 18:8,10,13 18:15,18 21:1 91:17 105:7 113:14 122:18 130:20 community 2:2 3:1 5:6 6:11,23 10:21 12:9 20:11 58:20 79:22 84:7,24 88:13,24 89:12 89:22 90:8,11 91:10,21,22 92:2,11,23 93:12,13,25 94:4,9 96:15 99:12 113:15 116:20 117:25 119:4,20 120:16 121:11 121:23 122:14 122:15,15,21 companies 86:4 compare 56:25 65:24 compared 28:13 compartments 38:19 compatible 89:15 compensation 99:18,19	100:24 101:15 complete 7:22 22:1 31:20 45:24 completed 34:2 44:11 82:12 108:5 131:3 completely 35:17 39:14 73:9 103:6 completing 32:11 completion 45:18 complexities 10:6 compliance 107:16,17,19 110:12,14,17 110:19 compliant 49:6 55:17 116:17 comply 52:1 100:16 complying 49:16 component 30:21 35:8 44:25 components 31:22 composite 56:9 compounds 50:2	comprehensive 116:4 compromised 105:4 computer 16:5 concentrations 67:9 concentric 37:3 concept 27:20 concern 93:12 concerned 66:8 76:22 88:16 94:24,24 98:4,5 114:6 118:19 concerns 26:19 84:17,19,24 85:2,4 87:17 94:16 97:3 concerted 15:2 concludes 80:25 87:21 95:19 126:5 concluding 92:25 concrete 14:16 32:12 36:12 50:22 53:20 54:3,3,5 121:21 condition 58:11 77:6 86:23 conditions 49:7 conducted 22:16 conduit 12:9 64:14,15,18
--	--	---	--

[conduit - council]

103:16 104:4 conduits 55:24 63:15 64:13 conferences 101:19 confidence 134:9 confirm 55:12 confirmatory 57:8 confirmed 41:15 conflict 100:4 101:6 conflicts 91:3,7 93:5 confused 40:12 confusing 25:11 75:6 confusion 115:3 congress 14:20 15:3 19:4,15 congressional 13:1 congressman 19:13 connected 97:21 100:23 consent 18:11 18:15 consequence 65:15,23 67:6 consequences 65:18 88:25	consequently 54:10 consider 103:7 consideration 53:5 considerations 18:12 considered 127:24 consistent 74:8 75:19 consolidated 112:16,18 constituents 40:5 52:10 76:22 115:23 116:5,6 121:6 consultation 133:5 consume 65:21 contact 102:25 125:11 contain 77:19 109:19 contained 77:15 container 37:14 37:15 40:7,8 containers 35:25 37:3 87:2 containment 31:13 35:11 38:3 40:16 42:11	contaminants 114:16 contamination 7:21 content 55:14 contents 62:17 continually 27:11 continue 17:25 19:12,21 31:18 32:13 39:1 58:13 78:1,17 80:10 128:23 130:14 continues 19:5 continuing 103:22 109:14 contract 27:16 contractor's 63:21 contribute 119:21 contribution 61:21 66:12 92:11 contributions 7:10 contributors 67:22 control 48:24 49:1,8 50:23 51:22 52:9 53:21,22 54:1 56:14,22,25 72:1 76:1	114:25 116:8 121:20 controlled 51:19 52:11 70:17 71:6,11 72:12 74:2,5,17 129:24 controls 48:5 48:15 51:1 52:4 conversation 13:19 copies 98:2 copy 118:2 125:7 core 22:12 33:22 35:8,10 35:16 38:8,13 38:14,15,16 97:18 corporations 84:9 correct 42:22 45:25 108:1 corrected 129:21 correctly 87:15 119:24 corridor 43:5 cost 26:12 27:11 costs 27:7,8 28:12 104:8,15 council 3:17,18 10:17 11:19,23
---	--	--	--

[council - david]

<p>53:4 123:4,8 counsel 100:11 count 56:23 counter 120:3 countries 7:15 98:22 114:6 country 13:11 15:2 91:11 94:2 98:19 130:21 county 2:3 3:7 3:11,13 10:13 10:18 11:10 17:4,10,18 43:12 77:25 78:1,9,9 83:11 124:1 125:20 couple 9:15 12:14 49:19 62:8 95:8 96:11 99:24 111:10 112:7 121:18 124:4 133:4 course 54:24 56:8 61:23 132:21 cover 8:3,5 25:20 38:23 102:21 covering 104:15 123:23 covid 5:13 9:23 21:17 23:14</p>	<p>crack 109:10 109:13,14 crane 44:12,13 44:20,21 45:7 50:16 crazy 103:12 create 101:6 created 94:3 credible 88:18 127:25 128:1 criticism 94:11 criticize 94:8 crustaceans 60:19 65:19 csr 1:18 cumbersome 23:19 cup 96:21 curious 87:13 current 86:16 87:2,6 107:18 111:11,16,16 112:3,14 currently 36:8 36:15 86:15 custom 5:10 customer 100:14 cut 33:23 40:18 44:14,24 45:4 92:22 cutting 31:16 cycle 10:12 19:8</p>	<p>d daily 54:20,21 damage 67:3 dan 3:5 5:21,25 8:16,18 9:1,5,9 9:10,19 11:18 13:13 14:23 15:4 17:8 21:6 21:15 25:13,17 25:24 26:5,21 26:24 29:2,10 29:23 30:3 34:5,10,13 36:21 37:8,13 37:16,19,23 39:2,18,22 40:2 41:23 42:1 44:5 45:11,13 46:8,13,18 63:25 64:5 65:1 66:16 67:11 75:9 76:12,20 77:22 78:15,21 79:4,7 80:14,17,24 81:1 82:3 83:1 83:6 85:9,20 86:8,13 87:20 90:20 93:7 95:3,18 99:16 101:10 105:17 105:20,24 106:22 111:4 115:17 122:5 122:25 123:9</p>	<p>123:17 125:17 125:25 126:5 126:11 127:22 128:2,10,16 129:4 130:25 131:9 132:15 132:16 134:18 dana 3:18 11:6 11:22 123:23 danger 85:24 dangers 85:23 data 50:12,12 60:15,24 78:20 116:9 date 136:20 david 3:2 5:4,4 9:10,12,16 11:25 12:3 15:4 26:24,25 28:10,14 34:13 34:15,17,24 35:5 45:12,13 45:15,21 46:1 75:9,10 84:2 86:3 89:18,25 90:17 91:2 96:3,9 99:16,17 99:21 101:10 101:16 112:24 115:17,18 116:25 122:5,7 129:6 130:6,8 132:18,19 134:23</p>
---	---	---	--

[day - develop]

day 96:15 117:8 days 9:15 13:15 14:11 15:12 30:17 99:1 113:6,6,13 130:18 dazzling 91:9 dc 9:4 99:25 122:13 de 95:16 deal 15:10 66:6 75:20 97:2 dealing 17:21 58:22 84:19 deals 98:12 dealt 85:5 debate 93:17 119:9 120:3 debris 54:2 decade 89:7 decades 61:10 decays 66:23 december 34:2 83:18 decision 24:21 24:21 25:5,6 decisions 28:5 29:21 declined 94:19 decommissio... 36:17 106:14 decommissio... 2:1 3:22 6:12 7:18,19 21:21	22:1,5 23:7 24:3,8,17 25:22 26:8,12 27:9,11 27:16,22 29:1 30:9 32:4,20 63:21 73:4 75:19,23 83:15 85:23 91:14,14 106:8 120:15 124:3 128:23 129:9 133:21 133:25 deconstruction 53:17 decontaminat... 40:20 decontaminat... 31:24 dedicated 8:22 47:4 125:12 defect 127:17 defenders 93:21 defense 30:12 30:14,19 31:2,5 41:4,20 134:3,8 defined 72:8 75:7 defines 72:14 definition 71:18 degradation 86:24 degrasse 14:10	del 80:4 83:10 delays 43:4 delegation 13:1 delighted 130:8 delightful 9:3 deliver 91:21 119:4 delivered 91:19 demerits 117:18 119:15 demolished 108:21 110:15 demolishing 53:19 demolition 32:1 32:3,9,19,21 54:3 demonstrate 70:5 demonstrated 109:7 denise 1:18 department 3:7 18:6,16,23 19:23,24 49:8 60:22 78:21 114:24 133:13 depending 33:14 deploy 78:6 deployed 29:14 depth 30:12,14 30:19 31:2,5 41:4,20 134:3,8	deputy 123:22 described 53:14 design 30:20,21 37:2 71:8 108:25 designed 76:3 110:3 desmond 7:2 17:4,8 21:4,7 135:13 destroy 126:20 127:8 destruction 47:24 detail 8:4 121:21 detailed 23:8 27:19 58:8 98:1 109:5 details 25:9 detect 109:11 detected 109:2 determine 57:1 58:6 62:18 70:22 determined 57:11 74:22 107:10 determining 92:9 detrimental 89:23 develop 109:14
--	--	--	--

[developed - dose]

developed 109:5 127:5 developing 109:10,13 development 113:21 developments 17:16 develops 90:17 dialog 26:15 84:5 92:1 93:1 95:1 120:11 128:16 dialogue 121:10 diameter 34:9 diego 3:2 43:13 48:23,25 51:21 77:25 78:9 83:11 86:1 90:8 97:19 116:7 121:19 diego's 17:4 dieguito 8:13 80:4 different 13:4 13:10 14:18 35:7 48:20 62:4,8 68:19,20 77:4,5 81:6 113:13 114:8 114:18,18 119:16 122:16 122:22 130:7	differently 120:21 difficult 108:16 115:8 diffusers 64:18 64:19,20,22 diluted 64:6 65:6 dilution 56:5 63:4,5,7,16 diminished 77:10 direct 82:17 101:14 124:25 direction 99:8 130:15 136:13 directions 82:5 directly 23:3 director 3:5,7 3:22 7:20 93:10 disagreements 134:13 disagrees 103:17 disappointed 99:9 103:6 discharge 8:9 51:5,6,7,10,15 52:16 58:14 63:2,18 64:14 69:10,11 discharged 49:3 52:10 62:3	dischargers 51:25 discharges 132:8 discharging 51:13 65:5 disclose 97:23 disclosure 86:6 97:8 98:5,6 102:7 discounted 88:18 discuss 7:20 91:1 94:15 95:2 115:18 discussed 53:14 111:8 128:25 discussion 20:20 93:16 118:13 119:5 119:10 discussions 19:6 130:23 132:22 dismantlement 7:21 27:23 dismissed 89:10 94:23 disposal 69:17 disposition 20:1 disservice 90:2 distancing 93:4 distressing 85:22 86:1	distributed 62:16,17 district 3:4,13 17:4 48:24 disturb 47:23 diversity 113:23,24 document 117:7 documentation 106:9 110:5 documenting 82:17 doe 46:6 doing 6:19 7:9 10:6,7 18:14 20:10 28:1,25 29:19,21 31:23 34:22 47:24 48:21 49:15 54:16 58:13 59:3,16 63:3 73:13 90:10,12 98:23 102:5 103:13 113:11 113:12 119:2 134:1 dollars 10:16 domes 31:13,16 31:22,23 35:11 40:17 dose 60:6 61:16 61:22 62:19 65:15,18,23 71:7,10 78:4
--	--	---	--

[dotted - emissions]

dotted 72:16 doubt 132:10 doug 3:21 7:18 21:12,15 25:13 25:16,23 26:2,6 26:22 27:4,10 28:16 29:2,8,11 29:24 30:4 34:5 81:8 106:24,25 107:4,20,22 111:4,5,14,15 111:23 112:3 120:22 121:9 126:16,24 127:13 128:3,8 128:10 129:4 133:22,23 doug's 130:9 dr 3:2 19:22 91:7,19 92:4,8 92:13,19,22 93:6 96:6 112:22 116:23 draft 6:14 14:15 52:18 drain 95:11 draw 63:6 123:22 drawing 56:9 65:3 dressed 42:13 drew 54:17 drilled 114:22	dripping 41:9 driscoll 92:18 96:24 driven 96:20 dry 39:14,14 72:5,15 73:10 74:25 77:13 95:13 106:18 108:6 126:18 126:21,25 dtsc 49:8,25 50:13 114:24 due 18:22 43:4 52:22 77:6 79:15 dull 9:4 duncan 11:5 dust 48:13 50:7 50:19,23 53:21 53:22 54:1 121:21 duties 5:23	earth 99:5 easier 5:25 easily 66:25 easy 105:9 124:24 eat 65:20 ebay 12:21 echo 130:9 131:8 economy 27:6 edison 3:20 5:16 26:7 70:22 84:16 91:4,9,15,20 92:4 93:4,21 94:1,11 100:10 100:15,15,19 100:20,21,24 100:25 101:1,5 102:3,15 103:1 103:2,21 115:11 120:12 121:5 135:8 educate 20:24 93:15 education 93:19 effect 51:9 56:17 71:12 76:2 effective 117:13 effectively 21:25 101:8,9 effluence 115:25	effort 94:13 104:11 128:13 efforts 17:25 106:8 eggs 56:19,23 eight 40:21 50:5 eir 49:6 either 19:2 69:16 71:13 126:17,23 elected 83:23 105:3 122:14 123:3 election 10:12 19:8 electric 97:20 100:17 electricity 97:17 elements 87:13 87:17 eliminate 73:20 97:9 elimination 51:5 embracing 84:6 emerged 114:3 114:4 132:21 emergency 3:7 73:19 77:5 78:2 emissions 48:13 51:1 60:12 97:9 116:3
	e 23:2,3 96:6 124:25,25 125:2,6 eab 72:25 73:5 73:8,25 75:3 earlier 7:5 41:3 53:16,22 63:5 75:12 108:22 early 41:17 earmarked 102:19		

[emitted - exceedance]

<p>emitted 64:19</p> <p>emitting 60:13</p> <p>emphasized 78:12</p> <p>employees 102:11 121:5</p> <p>enabled 91:11</p> <p>encapsulate 42:15</p> <p>encompasses 72:19 73:3</p> <p>encourage 20:22 26:14</p> <p>encouraging 113:9</p> <p>ended 41:10</p> <p>endline 55:6</p> <p>endorsed 83:19</p> <p>endowment 3:6</p> <p>endowments 104:12</p> <p>ends 126:9</p> <p>energized 31:24</p> <p>energy 14:8,11 18:6,16,23 19:18 133:14</p> <p>energy's 19:23</p> <p>engage 93:15 95:1 118:10</p> <p>engaged 12:9</p> <p>engagement 2:2 3:1 4:2 5:6 6:11,13 21:20 22:10,22 84:10</p>	<p>91:10 93:12,13 93:25 94:4,9 113:15 120:16 129:1,2</p> <p>engaging 84:7</p> <p>engineer 53:7</p> <p>engineering 4:4 45:5</p> <p>enhanced 91:23</p> <p>enmeier 11:20 40:4,11 68:9,22 76:21</p> <p>enormously 13:3</p> <p>ensure 30:25</p> <p>enter 57:21</p> <p>enthusiasm 13:25</p> <p>entire 98:2,3</p> <p>entirely 58:23 117:12</p> <p>environment 8:6 26:3 28:4 47:2,5,14 50:9 58:6 60:9 61:9 61:11,13 66:12 70:6 79:14</p> <p>environmental 1:2 3:24 8:1,2 22:9 46:21 47:11 48:9,12 49:7,10 50:10 58:20 60:11 61:1 70:16</p>	<p>73:2,3 121:17 131:25 132:3 132:24</p> <p>environments 56:21</p> <p>epa 49:10</p> <p>equal 80:12</p> <p>equipment 27:18 30:18 48:13 59:20</p> <p>escalation 27:14 28:12</p> <p>especially 11:14 12:16 47:20 58:22</p> <p>essential 13:22</p> <p>establishes 52:6</p> <p>estimate 26:12</p> <p>estimated 60:4</p> <p>estimates 54:25</p> <p>et 84:9</p> <p>evaluated 107:9</p> <p>evaluating 27:12</p> <p>evaluation 58:4</p> <p>evening 9:11 30:6 90:25 108:23</p> <p>event 53:13 94:18 107:14</p> <p>events 20:21 48:16 53:11</p> <p>eventually 24:20 107:12</p>	<p>evergreen 117:3</p> <p>everybody 5:9 10:8 17:11 42:8 45:2 100:22,22</p> <p>everybody's 66:1</p> <p>everyone's 125:22</p> <p>evidence 100:7</p> <p>evidentiary 25:2</p> <p>exactly 45:2,6,7 89:1 113:11 116:8 120:7 127:9 130:24</p> <p>examine 56:1</p> <p>examining 58:14 61:11</p> <p>example 22:16 31:5 62:3 73:16 91:22 92:5,7,7,16 94:12 117:10</p> <p>examples 49:18 50:16 92:5</p> <p>excavation 50:3</p> <p>excavators 50:21 54:4</p> <p>exceed 71:9</p> <p>exceedance 53:11 59:1 116:18</p>
--	---	--	--

[exceedances - fees]

exceedances 121:18 exceeding 54:19,21 except 98:10 103:15 107:9 116:17 exceptional 93:11 exchangers 67:25 69:6 excited 19:12 113:1 124:11 125:14 exciting 17:15 exclude 127:4 exclusion 8:8 70:17,19,23 71:19 129:24 131:9 exclusive 71:24 excuse 41:23 executive 3:5 17:25 93:10 executives 94:6 exemption 76:1 78:8 exemptions 76:6 exhaustive 58:5 exist 74:18 existing 127:19 expect 45:18 53:24 121:11	expected 28:13 54:9 expects 18:23 expenditures 25:21 expenses 99:20 101:21 experience 94:20 102:22 114:5 117:20 117:21 122:9 experienced 43:3 55:18 89:7 91:22 experiences 114:3 experiencing 43:4 expert 83:24 84:22,23 94:13 94:25 expertise 118:11 experts 88:19 120:1,2 explain 68:10 77:3 96:8 107:12 114:19 114:20 explained 130:1 explore 18:10 18:18 expose 56:20	express 93:11 expressed 133:10 extending 64:12 extension 74:4 extensive 132:2 extensively 118:15,18 extremely 109:21 131:11 eye 20:22 f face 113:19 facilities 112:9 112:11 facility 19:2 34:1 36:12 41:2 44:15 72:6,15 75:1 94:19 95:13 112:17,19 126:18,22,25 fact 7:2 52:24 factors 5:14 facts 97:6 99:14 fail 58:21,25 failed 30:24 57:3,18,21 58:24 129:16 132:8 failing 107:7,14 fails 58:2 failure 57:1 86:24	fall 10:12 90:15 falling 124:2 false 98:13 familiar 120:19 fans 121:5 fantastic 118:6 far 85:5 127:4 fashion 19:14 129:19 fast 88:17 105:12 feasibility 19:1 feature 63:2,17 63:19 82:20 featured 7:13 features 30:20 76:15 february 34:2 41:6 52:17 55:21 57:5 59:11 125:8 federal 12:23 13:6,18,22 19:7 20:1 48:20 51:18 99:3 105:10 112:17 133:11,12 fedex 12:22 feed 118:9 feedback 6:7 125:13 feel 124:19 feeling 45:15 fees 104:7
---	---	--	---

[feet - frankly]

feet 11:13 35:23 64:16,18 64:24 71:20 fell 29:14 fellow 135:6 fence 72:14 74:15 ferguson 11:6 fertility 56:17 56:18 fertilized 56:24 figure 100:2 105:6 filings 91:2 fill 15:19 filled 37:19 39:3 43:16 filter 62:7 filtered 69:3 90:5 filters 55:6 67:25 69:5,15 filtration 62:6 65:10 final 25:6 28:5 28:8 32:11 112:18 134:19 finally 11:22 19:20 103:24 financial 86:4 96:4 97:8 find 10:25 21:3 48:5 61:6 70:9 89:14 116:9	finds 43:25 fine 29:16,19 84:3 finicky 58:22 finland 7:13 17:20 20:13 114:4 first 5:7 6:22 9:20 10:10,13 10:15 11:9 13:14 15:10 19:22 32:2,17 39:24 57:2 59:24 62:6 64:20 82:9,24 87:25 95:24 96:1,12 107:24 115:21 117:17 123:2 128:11 129:7 130:9,18 fish 60:20 65:19 79:18 fission 73:11 fit 38:21 five 81:10,18 113:6,6 120:4 130:17 flag 89:21 fledged 48:7 fleischmann 19:10 flier 118:3 flies 75:22 flooding 84:19 94:16,18 95:9	118:12 floor 9:1,9 14:23 53:23 flow 62:25 flowed 53:24 flowing 64:21 flows 55:24 63:15 fly 94:15 flyers 22:25 focus 30:9 focused 41:22 114:7 133:24 135:1 foley 11:10 17:18 foley's 18:3 123:21 folks 9:21 14:4 17:20 20:5 47:6 49:20 77:17 80:21 87:23 102:16 117:25 122:20 128:12 follow 57:9,20 128:24 followed 26:18 following 7:23 19:7 follows 22:12 footnote 117:6 132:4 footprint 131:9 131:10	foregoing 136:8 136:13,15 forget 122:11 form 70:3 82:7 formal 24:18 formally 17:13 format 6:6 forth 100:18 128:16 130:13 136:10 fortified 30:19 forum 93:16 forward 18:5 21:25 22:20 26:11 75:24 80:18,23 105:15 125:23 129:20 133:2 fostered 91:23 found 48:4 53:1 53:22 54:19 127:17 131:11 foundations 84:9 founder 88:7 four 59:7,19,23 113:5 124:22 130:17 fourth 98:14 131:24 134:2 134:10 frame 59:24 frankly 9:2 101:8 119:1 120:6
---	--	--	--

[free - go]

free 124:19 front 27:3 127:18 frost 3:18 11:6 fuel 7:1,14 12:6 12:17,20 13:15 14:21 17:13,15 17:16,24 18:2,9 18:11 19:5,7,25 20:3,13,14,14 20:22 27:25 28:2,21 30:15 32:5,6 33:20 36:7,8,14,18 37:12 39:5 40:17 41:6 45:23 46:6 59:4,7,11 62:2 72:5,6 73:10 74:25 76:18,23 77:8,12 83:20 83:21 84:14,18 86:22,23,25 94:18 99:3 104:19 105:8 106:7,10,17,18 107:12,25 108:5,6,19,20 109:19,19,19 109:20,20,23 109:23 110:13 110:14,17 114:10 124:13 126:17,21 127:8 134:9	fuels 17:6 130:20 fukushima 65:24,25 66:2 full 9:4 24:22 35:1 39:4 48:1 57:6 86:5 97:8 102:6 fully 8:22 29:5 29:24 38:11 42:13 55:17 116:3 130:2 fun 124:4 function 108:25 fund 25:20 83:16 91:15 fundamental 121:24 funded 83:15 funding 18:7,9 26:6 97:23 101:5 102:17 102:17 133:15 fundraising 102:14 funds 100:23 102:21 furniture 38:19 38:20 further 28:19 76:7 110:6 129:11 133:17 136:13 furthermore 109:1,15	future 14:8 20:23 21:6,9 26:13 42:20 43:8 101:4 118:24 127:4 135:3 g g 3:2 gabbard 11:23 gaining 28:10 gallery 35:1 gallon 54:25 gallons 54:23 59:6,9,13 61:19 63:13 64:1,7 66:3,4 gamma 67:1 gantry 44:12 garry 3:11 gary 87:25 88:2 88:5,6,7 90:20 92:16,18,23 95:25 96:14,17 98:1 101:3 102:2 104:16 111:8 119:21 126:10,11,12 127:7,21,22,23 128:2 gas 104:8 general 3:24 6:3,23 8:2,21 26:3 27:20 93:24	generally 42:12 generate 50:22 generates 50:19 generating 50:8 generation 90:9 genuine 94:11 geranium 109:20 getting 11:17 15:1 20:25 37:22 38:2,25 89:9 90:4 99:1 104:10 113:14 give 6:7 11:25 17:5,12 21:14 34:5,6 63:10 66:17 92:7 94:12 96:7 103:3,6 given 84:17 gives 70:21 giving 99:14 global 97:10 gnatcatcher 47:18 48:3 go 6:20 8:4 14:22 15:13,13 15:25 16:2 21:10,21 22:14 23:2,20 24:5,13 24:19,24 26:7 26:22 27:24 30:17 31:7,10 32:18 33:6 34:4 36:11
--	---	---	---

[go - habitat]

37:24 38:10 40:1,23 42:1,2 43:12,12,15 44:6,16 45:22 46:17,22 47:25 49:17 50:15 51:3 52:15 53:10 54:15 55:20 57:13 58:1,18 59:2 61:23 64:9,14 65:10 68:25 69:20 70:7,9,14 71:14 72:25 74:1 76:4 80:6 82:4,11,13 85:10,12 87:2 87:25 89:1 95:5 96:1 97:4 101:13 102:16 104:14 106:2 109:1,3 126:11 127:9 128:5,7 128:21 130:13 goals 88:23 89:13 goers 73:16 goes 36:9,10 37:10 62:6,8 64:7 71:18 91:25 going 5:23 6:22 6:23 7:8,11,16 7:20,24 8:1,3,4 8:5,14,25 9:6	9:15,16 12:10 12:11,18 14:6 14:14 15:9,10 16:2 17:5 18:25 19:21 21:4,14 22:7 31:9,18,20 32:9 32:10,13 36:6 36:11 37:24 40:17,20 42:14 43:7 44:16 46:14,20,25 47:6 49:18 51:4,15 54:8 59:25 62:20 63:13 65:9 70:15,19,25 71:5 75:14 79:9 81:18 82:9,10 86:20 87:1 88:17,21 89:11,15,16 91:1 92:20 95:20,22 100:3 103:3,6,12,13 103:24 104:13 106:1,20 112:5 112:11,25 124:14 127:7 129:6 130:16 133:11 gold 10:23 good 18:21 20:20 30:6 40:15 41:13,17	42:16 61:13 69:6 82:17 85:20 88:10 90:25 103:13 106:22 117:9 117:10,24 118:6 121:16 134:6 gore 97:15 gotcha 98:9 government 11:8 105:10 112:16 gpm 63:10 graciously 17:23 gradually 64:22 graduate 97:19 granholm 14:1 14:9 grant 104:13 granted 78:8 grateful 6:1 grease 54:19 55:14 great 10:6 11:13 20:16 21:16,17 22:11 23:12 93:18 94:10 98:17 125:17 129:10 greater 33:17 35:12 36:3,5 45:17,19,23	73:22 131:3 green 71:17 88:8 grids 100:25 101:1,2,3 gross 51:24 ground 28:17 32:21 44:13 45:4 131:2 group 13:16 14:13 63:20 100:22 113:4 114:21 130:20 grow 19:13 23:23 growth 27:13 gtcc 35:18,18 36:6,7,11,15,22 37:3 38:1,6,11 39:25 76:18 guaranteed 91:13 guess 53:24 86:14 113:6 121:3,25 guest 16:12 guests 46:14 guide 33:23 guiding 119:3 guilty 89:19 guys 10:5 11:12 h habitat 47:19 48:4
---	---	--	---

[half - host]

<p>half 32:2,17 44:10 61:17 131:1 halfway 7:22 28:18 32:23 hand 5:24 9:1,5 10:5 16:7,15,20 27:2 30:4 41:22 64:11 74:12 handling 89:1 95:11 hang 112:3 happen 12:8 14:6 15:6 16:10 54:8 72:8 75:4 77:10 78:5 86:19 94:17 103:13 109:1 109:22 110:1 131:15 happened 12:14 53:15 92:6 119:19 121:22 happening 12:2 23:8 31:15 33:8 58:5 78:24 105:6 121:14 124:1 happens 63:8 69:3 77:15 happily 99:15</p>	<p>happy 9:13,19 19:20 22:11 23:21 103:18 128:5 harbor 123:23 124:4 hard 31:12 113:18 126:3 harder 72:11 harm 60:8 harsh 99:6 hate 65:24 haves 13:17,17 hazards 49:23 head 122:12 headrick 87:25 88:6,7 92:16 95:25 96:14 119:22 126:10 126:12 127:7 127:21,23 headrick's 111:8 heads 87:5 health 5:14 60:22 67:6 78:21 healthy 26:14 26:15 hear 6:24 8:2 20:16 22:3 26:16 79:20,23 79:25 81:15 83:4,6 88:15 98:7 117:25</p>	<p>118:19 121:6 126:13 132:11 136:18 heard 58:19 76:21 87:15 119:7 hearing 133:3,6 hearings 25:2 26:15 heavily 83:19 97:16 120:5 heavy 44:25 heights 44:25 held 19:22 43:17 helium 37:19 hell 103:11 help 12:11,24 12:24 13:7 14:3 20:24 68:21 95:22 104:11,14 105:24 130:6 135:13 helpful 13:4 81:6,12 117:24 131:11 132:6 helping 65:3 105:14 herft 1:18 hey 118:22 hi 46:18 hidden 97:7 100:8</p>	<p>hiding 9:23 86:3 98:12 high 54:14 86:23 109:21 highest 33:17 hill 2:10 14:5 hills 1:3 5:1 9:2 hinges 97:12 history 89:6 hit 82:22 hobby 10:22 hole 104:4 holtec 110:19 home 14:20 103:10 135:10 homogenous 62:18 hon 3:3,16 honor 17:3 honored 24:1,1 hope 23:23 92:25 103:23 111:1 hopeful 53:8 104:10 hopefully 18:1 20:25 21:2 82:16 89:25 90:17 104:19 horizontal 36:13 39:17,18 39:19 horrific 100:1 host 20:3 80:19</p>
---	--	--	--

[hot - inspection]

hot 126:21 hour 8:22 120:4 hours 56:8,23 60:2 64:2,3,4 96:25,25 97:1 house 19:18 housekeeping 15:5 howard 3:10 huge 67:6 90:2 131:4 human 31:3,6 41:4 humanity 130:10 humboldt 120:20,24 hundred 110:4 116:11 husband 103:9 hybrid 5:17 6:7 10:4 23:15,17 128:13 hydrogen 66:19,20	identical 37:11 identified 20:12 identify 16:8 41:21 identifying 119:11 120:1,1 ignored 89:10 ignoring 45:14 image 64:11 71:16 immediately 35:9 immensely 81:6 impact 49:7 73:2,3,18 79:14 implement 48:5 implemented 55:9 75:2 implementing 20:14 implication 98:11 implored 120:8 important 18:4 19:6 21:24 22:22 28:22 30:16 85:1 97:11 103:14 113:22 129:2 131:6,22 importantly 47:3 impression 92:19	improve 113:7 133:7 inch 37:7,17 inches 34:9 incident 129:11 include 32:9 78:3 85:12 87:12 included 67:19 includes 32:4 32:21 48:12 including 8:7 70:23 97:13 101:2 118:16 132:5,25 increase 18:20 independent 30:22 56:10 60:23 74:21 84:23 93:24 94:18 independently 94:3 indians 3:9 indicated 25:1 individual 117:19 122:18 122:19 industrial 21:23 40:25 44:23 95:13 industry 13:7 85:22 88:22 89:12	inflation 27:6,7 27:10,15,17 inflationary 130:18 information 60:24 61:5,6 78:23 81:5 89:8,20 98:12 100:7 103:16 117:5 125:11 132:5,12 informed 12:10 57:4 107:16 ingest 67:4,5 68:15 initial 36:2 37:5 injuries 129:11 injury 29:3,5 29:25,25 30:1 innovation 14:8 input 84:6 118:24,25 119:1 inquired 92:8 inserting 38:5 inside 31:13,22 31:22 38:18,25 39:6 53:20 107:8 inspect 49:1 110:8 inspection 31:3 31:6 41:4 109:5 127:15
i			
icon 16:7,15 idea 17:10 60:6 74:8 93:12 106:22 117:9 118:6 122:17 134:6 ideas 117:10 133:16 134:13			

installation 49:21 installed 49:22 50:6 55:6 instance 48:23 60:15 101:22 121:7 instill 47:12 institute 10:16 56:14 80:20 96:23 102:7,23 102:24 103:20 institution 134:25 instructions 57:10 instruments 78:25 intake 32:11 56:21 intend 73:20 91:6 intent 110:16 intention 106:15 intentional 30:20 interactive 61:7 70:8 interest 80:23 91:3,7 92:2 93:5 100:4 101:6 102:6 125:22 133:10 135:2	interested 14:11 18:8,14 80:15,20 81:11 104:18 interesting 64:10 95:6 interests 13:10 92:1 intergovernm... 97:14 interim 3:7 18:12 19:2 112:16,19 113:20,24 114:10 133:15 internals 31:17 33:10 interrupting 34:20 intervener 25:25 interveners 26:9,20 introduce 17:3 21:12 investigating 58:15 investment 27:13 28:11,13 investor 91:12 invited 96:22 133:13 involved 97:16 119:22 122:9	involvement 91:24 122:22 involves 39:12 127:16 involving 28:3 iodine 68:16,17 ion 67:24 69:6 isaacs 13:20 isfsi 4:4 32:7 36:12,16 39:16 45:19,22 71:7 71:11 72:14 73:22 78:19 84:20 108:4,18 118:13,17 119:6,12,19 isolate 58:9 isolations 31:24 isotope 66:19 isotopes 62:10 68:19 69:7 issue 18:4 19:15 41:14 97:7 98:4,6 106:3 112:20 115:15 124:19 125:23 127:5 127:14 issued 52:17 issues 8:5,9 17:22 67:7 89:9 91:3 92:1 95:9 96:19 120:11 121:18 131:25	item 28:20 116:19 items 13:18 31:10 118:24 iwane 82:25 83:1,4,8,10 89:10 106:2 117:23 126:14 iwane's 92:4
			j
			jammal 3:19 january 18:22 35:15 83:18 jennifer 14:1 jerry 4:4 jewelry 10:22 jim 7:2,7 17:4,8 job 11:13 47:8 47:13 82:17 93:18 john 3:16 11:23 join 16:10 20:19 joining 5:20,21 6:3 juan 3:16 78:22 judge 24:19 26:16 julia 4:3 6:17 6:18 jumping 11:13
			k
			kalene 86:10,11 86:12,14 87:8

87:10 111:10 114:13 katrina 11:10 17:18 123:21 katrina.foley 125:3 keep 20:22 63:3 90:22,24 103:24 key 22:8 47:11 57:14 79:11 117:6 124:16 129:7 133:13 kibbey 3:14 kicks 58:3 kids 103:4 kim 19:22 kind 5:18 13:14 20:6 61:14 66:14 68:20,23 72:17,19 86:19 96:13 98:7,10 99:6 100:24 117:15 122:17 132:1 kinds 116:16 118:16 119:16 knees 92:22 knew 55:2 know 8:11 9:22 9:24 10:18,21 11:16 13:12 18:6 20:7 21:1 22:13,20 23:11 23:22 28:9	41:12 47:5 48:18 55:12 65:2,25 66:7,17 73:6 75:16 76:7 77:9 78:20 79:13 80:14 81:14 83:18 84:10 90:4,5 94:4 96:6,17 97:22 103:21 104:16 104:21,23,23 105:11 108:25 112:15 114:2 118:5,25 120:22 121:1 121:15,23 122:3 124:9,16 124:23 125:10 126:12 134:14 134:15 knowledge 119:19 120:13 known 13:20 17:13 54:7 96:18	lands 49:5 74:10 langley 93:9,9 96:14 115:6 119:8 120:7 language 75:13 large 31:21 44:24 88:13 90:9 95:15 late 16:10 18:19 45:20 131:3 laura 11:6 law 24:19 26:16 73:6 76:10 86:16 94:4 99:3 111:16,16 111:25 113:1 113:19 layers 30:23,23 30:24 41:20 laymen's 68:23 lead 97:5 leader 96:4 leaders 83:23 leadership 19:14 leads 55:23 leak 76:25 129:15 leaking 127:11 learn 80:1 85:4 96:24 97:2 114:5 124:14	learned 124:15 learning 11:14 17:22 18:8 98:24,25 125:23 134:1 lease 73:2 74:9 leave 25:13 52:7 61:14 leaves 55:10 ledge 45:3 left 11:18 33:3 35:11,14 38:9 38:12 39:2 41:18 44:10 48:8 49:20 64:13 72:6 74:12 75:3 legal 91:2 legislation 13:19,22 14:17 86:15 111:11 111:13 112:4 112:11 legitimate 94:17 lessons 114:3,4 letter 83:19,23 letting 21:1 level 19:7 20:1 33:13,17 64:23 78:2 levels 66:10 77:5 79:1,2 levin 13:3 19:5 19:8
	l		
	lab 57:10,11,11 97:18 labor 27:18 laboratory 56:11,11 laguna 1:3 2:10 5:1 9:2 53:3		

[levin's - lower]

levin's 19:13 license 52:12 52:14 108:3,9 108:15,17 110:24 127:5 127:20 licensed 72:20 72:21,23 74:14 77:15 106:13 106:16 108:12 111:19 112:12 112:19 126:19 licensee 70:21 licensing 108:2 lid 39:3,13,15 life 110:3,4 131:19 lift 16:23 light 85:22 limit 54:20,21 61:21 67:14 limits 52:6 55:15 61:15 67:17,21 71:9 71:22 77:9 line 4:9 15:20 15:22 23:9 71:18,20 72:16 72:18 74:15 liner 36:22 37:2 37:5 38:1,11,17 38:18,23 39:2,4 39:25 liners 38:5	lines 64:12 lining 40:4,6,7 link 23:4 110:23 116:20 117:2 liquid 8:10 59:3 109:23 lisa 3:12 10:14 10:15,21,25 11:1 list 118:22 listen 53:6 85:22 listened 96:21 litigation 91:5 little 5:25 10:22 15:21 16:4,22 27:5 40:6 41:9 58:21 61:20,23 66:18 67:2 71:15 91:19 118:19 120:6 120:22 132:7 living 46:5 lo 103:5 load 69:8 loaded 36:16 37:6 38:6,11,11 38:16,24 39:2,9 40:25 46:4 local 11:8 12:25 78:2 90:9 101:3 located 33:22 95:14	locomotive 43:19 log 15:13 16:14 logging 16:5 logic 131:18,18 long 12:16,19 19:24 63:15 69:23 75:16 80:21 88:25 89:6,13 96:19 105:9 119:5 134:9 longer 72:3 114:11 look 18:4,25 21:22 22:20 23:6,7 27:12,12 27:14 28:11 31:11,15 52:1 52:19 55:4 57:6 58:5 60:14 68:14 69:13,25 70:4 71:15 80:23 83:1 90:16 105:15 108:8 121:24 125:23 looked 100:11 looking 20:8 26:11 31:12 32:16 33:19 44:9 47:21 57:15 80:17 87:4 88:25 133:2	looks 24:9,10 44:19 lot 9:17 10:20 12:7,8 13:9,13 13:24 14:10 20:10 23:9 24:4 26:18 27:7 28:1 30:13 31:14 32:13 33:10 41:10 45:5 50:19,23 54:2 62:12 66:2,6,10 67:16,17 69:9 74:13 77:10 80:2 81:5 86:21 88:16 89:17 93:23 96:24 98:24 101:1,2 109:16 117:10,21,21 119:1 127:21 127:23 128:13 130:25 lots 22:25 52:2 98:20 114:8 love 11:2 134:14,15 low 33:13 42:16 43:5 62:23 66:11 109:10 109:25 127:14 lower 38:9 49:20
--	--	--	--

[lowest - meaning]

lowest 33:16	48:20 49:14	mar 80:4 83:10	73:22 87:4
lucky 123:22	60:12 63:23	march 1:13	materials 12:18
luis 3:8	69:24 75:11	2:11 5:2,7 6:15	16:24
m	80:16 82:11	13:15 22:17	matter 76:10
machine	85:22 89:21	52:23	88:21 118:14
136:11	98:3 99:12	mark 11:20	matters 12:19
machines 50:20	101:20 104:22	40:4,11 68:9,22	mayor 11:5,6
mad 105:22	104:24 105:2	76:21	mcmorris
made 10:24	110:9 113:18	marni 3:15	19:17
20:18 33:10	118:4 123:18	125:25 126:2	mcnally 85:17
35:13 54:6	129:20 131:7	martha 3:3	85:19,21
74:4 75:12	makes 98:17	41:25 42:1,2,7	mcnally's 111:7
92:14 94:5,5	135:13	42:17 45:12	mcnicholas 3:3
96:25 98:18	making 7:15	46:11 67:11,13	41:25 42:2,7,17
109:7 130:24	49:6 50:7 60:3	67:18,21 68:1,4	45:12 46:11
131:12 135:9	98:11 101:7	68:8 69:15,18	67:13,18,21
136:11	120:2 130:25	82:25 83:5	68:1,4,8 69:15
magda 3:15	man 94:20	85:7 87:8,19	69:18 82:25
126:2	manageable	95:22,24 96:10	83:5 85:7 87:8
mail 23:2,3	44:14	105:24 106:1	87:19 95:24
124:25,25	management	106:23 107:2,5	106:1,23 107:2
125:2	3:7 18:11	111:3,5,21	107:5 111:3,5
mailed 96:6	20:15 91:8	112:1,22	111:21 112:1
mailing 99:25	110:7,10	114:12 115:5	112:22 114:12
mails 125:6	manager 3:24	115:18 116:19	115:5,18
main 132:13	4:4 8:2	116:23 117:1	116:19,23
maintain 78:2	managing 10:6	120:9,25	120:9,25
maintaining	28:21	121:25 122:24	121:25 122:24
27:25	mandated 94:3	123:14	123:14
major 28:16	98:21,22	martinez 4:3	mean 25:25
33:7 134:7	manipulate	6:17	29:9 75:8
make 12:8,12	127:1	match 89:14	meaning 39:18
15:24 16:15,21	manuel 4:2	material 16:24	71:9 110:13
21:2 28:5	map 32:19,24	35:10,19,20	111:19 116:6
40:11 45:2	61:7 70:8	36:24 38:25	

[meaningful - minutes]

meaningful 93:16,17 94:10 95:1	132:2,24 133:1 133:9,12,14,20 133:24 134:2,3 134:11 135:15	memorized 124:23	34:18,19,24 35:3
meaningless 90:14	meetings 5:10	mention 12:4 36:4 65:9 86:15	michelle 3:7 77:23,24
means 12:24 30:20 31:1 72:1 84:10	5:15 10:2,4 22:12 23:15 30:10 75:16 86:22 92:3 113:7 115:10 117:7 119:8,23 119:24 130:15 133:5,8 134:22 134:24 135:1	mentioned 20:2 20:5 32:22 33:7 41:3 68:9 78:12 89:10,17 96:2 104:1 112:2 116:17 134:23	micro 100:25 101:1,2,3
measures 53:21 71:12		mentioning 63:5 132:1	microphone 16:18,20
measuring 115:7		merits 117:18 119:15	microsoft 1:4 2:10 5:1 34:21
mechanical 31:1	mel 3:8		middle 33:16 38:12 39:24 50:1 71:16
media 69:14	member 3:1 10:18 11:19,20 11:23 16:6 41:7 92:8,15 98:16 121:3 122:2,3,13		mike 13:3 19:4 34:14 125:18 125:19
meet 79:19 123:20	members 6:3 8:16 14:19 15:7 16:10,17 16:23 23:19,25 24:15 53:8 86:7 94:9 99:11 101:12 104:22 119:3 119:20 122:10 122:19 123:3 123:17 128:5 132:10 133:5 134:15 135:6	messages 96:13 met 10:15 40:5 metal 35:24 107:9 metallic 109:12 metals 49:24 meter 71:6 74:5 74:23 meters 72:13 74:19	mile 64:20 milestone 131:4 millennial 124:22 million 18:17 18:21 42:25 59:6,9 66:3,4 102:13,14
meeting 1:1,12 2:2,9 5:7,11,12 5:17,24 7:24 9:7 13:14,14,16 14:3,8 15:16,25 18:5 21:18 22:7 23:10,17 28:19 32:16 53:2,13 79:10 79:12,21 80:9 80:18,23 83:25 85:2 98:8 113:12 118:1,3 118:22 119:13 119:17,18 120:4 124:7,9 126:9 128:5,12 128:14 130:12		methods 127:16 mexico 112:2 112:10 113:5 113:11,16,20 114:9 mic 46:10 michael 3:18 3:18 11:6,24	millirem 61:17 61:18,21 67:14 mind 66:1 83:17 86:25 88:4 90:21 minds 8:11 minimum 73:6 minute 63:13 64:7 81:10,18 minutes 82:23 92:21

[missed - new]

missed 130:7 mission 3:8 mistake 54:7 misunderstood 126:15 mitigate 50:25 55:5 80:12 mitigations 79:15 mixed 54:5 62:9 mixing 63:12 mode 76:3 model 98:19,19 98:20 models 98:20 module 36:13 39:17 moment 14:24 50:17 65:11 69:22 71:4 72:10 98:9 122:12 money 18:24 25:20 26:10,13 28:7 69:10 100:20 103:4,7 monitor 50:4,5 52:4,5 62:23,23 63:1,22 69:11 70:1 monitored 63:20 monitoring 8:6 41:7 48:3,6,12	48:12,13,16,19 49:21 50:2 57:14 58:2,18 60:11 61:1 68:5 69:23,25 78:3,16,19 79:25 115:2 117:11,14 monitors 50:10 50:10,14 69:8 monopoly 113:25 month 59:18 monthly 49:5 50:13 116:14 months 29:3,9 32:9 45:8 53:12 94:12 95:8 119:23,25 124:5 morning 7:12 17:19 20:2,4 move 12:6 17:1 21:10,10,25 46:17 62:1 79:8 85:16 86:9 95:21 99:3 105:12 128:7 129:5 132:16 134:18 135:13 moved 62:4,4 100:18 103:18 105:9 129:20	moves 105:13 moving 12:20 40:16 59:20 109:15,24 130:14 music 7:6 muted 16:19 n name 5:4 6:25 7:1 16:11 17:13 82:21 88:7 90:25 93:8 122:11 123:21 136:21 napuri 11:11 11:16 42:19 43:3,11 44:3 123:20,21 narrowing 75:25 nation's 113:7 national 28:4 51:5 nationally 111:22 natural 8:6 nature 21:20 navy 28:3,5 94:22 ndctp 25:7 26:7 26:20 near 18:15 43:8 43:21 nearly 32:7	neat 46:19 necessarily 66:25 93:20 121:5 123:9 necessary 74:22 need 10:24 12:23,24 13:8 16:12,14 34:25 73:24 81:10 103:10 113:23 114:5 117:2 130:22 needed 13:7 29:17 72:9 73:1,8 102:13 neglected 45:16 neil 14:10 96:24,25 nepa 28:4 nest 47:23 48:3 48:5,8 nesting 47:22 nests 47:18 neutron 67:3 neutrons 66:21 nevada 44:1 never 35:18 61:24 73:17 84:13 86:25 119:19 nevertheless 59:21 new 6:6,6,24 11:7 19:9,18
--	---	--	--

[new - okay]

53:15 70:15 74:17 86:17 111:11,17 112:2,10 113:2 113:5,10,16,19 113:20 114:9 119:12 121:8 134:21 newly 11:23 news 18:21 nice 13:18 123:20 128:14 128:19 nicholas 3:6 104:12 nickel 100:2 night 43:9 122:13 nights 124:8 nina 81:13 88:2 90:24,25 120:10 122:7 nina's 122:1 nine 91:18 noble 97:15 noise 48:2,6 nominally 59:14 63:10 non 49:23 114:15,23 116:6 nonclassified 119:18 normal 58:1	north 8:13 43:12,24 80:22 83:11 95:12 note 98:1 notes 16:21 108:10 noticed 41:8 notified 55:3 november 35:14 125:8 nrc 67:14 73:5 74:3,20 75:18 76:11 84:21 86:22 106:9,15 107:7,9 108:7 110:5 118:13 118:14,15 nrc.gov 108:14 nuccomm 23:3 23:3 96:1 nuclear 3:21 7:17 19:7 20:13 21:13 22:4,4 26:8 36:7,8 49:12 52:11 61:2 73:10 75:17 83:24 85:24 86:17 87:6 94:21,22 106:14 108:4 109:8 110:8,20 111:12,17 113:2 115:24	nuhoms 39:21 number 21:24 43:18,22 46:9 48:19 49:22 61:25 66:4,5 76:13 101:19 101:25 107:6 124:20 136:25 numbered 28:20 numbers 124:22 nuts 25:10	65:20 80:19 102:7,22,24 103:20 124:2 oceanographic 56:13 oceanography 96:23 134:25 oceanside 3:10 43:21 74:16 ocfa 124:7 ocgov.com. 125:3 odd 44:19 offer 94:19 offered 92:12 office 19:25 124:19 officer 3:21 7:17 21:13 official 105:3 122:14 officially 73:21 offsite 18:1 28:2,23 78:4 oftentimes 89:2 oil 40:8 54:12 54:14,19,25 55:7,13 129:15 oily 54:11 132:8 okay 10:2 26:5 26:22 28:14 29:22,23 30:4,6 37:13 39:7,22 42:9 44:5,7
		o	
		o'clock 122:13 objective 47:12 observation 75:12 observing 49:20 obtained 86:2 obviously 26:17 28:9 88:22 occasionally 116:17 occur 77:20 109:17 occurred 55:17 ocean 10:16 51:7 52:10 54:15 55:1,25 56:5 58:14 60:13,17,18 62:21 63:6 64:23 65:1,4,16	

[okay - package]

49:17 59:2,24 64:5,16 66:24 68:1 70:14 71:13 72:20,25 74:17 77:8,17 79:4 84:25 85:6,20 105:17 105:19,22 111:3 115:5 122:24 once 10:7 22:10 28:1 31:20 39:2,8 49:11 55:2 73:17 82:5 100:5 119:5 127:2 132:25 134:6 135:5 ones 87:23 ongoing 19:14 43:5 online 5:12 9:12 10:4,7 15:6 46:9 82:6 82:8,10,16 87:22,24 95:20 128:18 onofre 2:1 7:17 14:2 24:7 98:10 106:11 108:15 onsite 48:1 open 16:17 28:2 60:20 82:10,13,19	84:5 91:23 92:1 93:1 120:11 121:10 121:13 128:22 opened 41:14 93:20 opening 119:8 operate 76:3,11 97:22 110:25 operated 80:13 120:17,21 operating 30:18 33:15 68:16 71:21 72:4 73:7 77:4 77:8 79:13 94:21 operation 75:21 79:16 121:1 131:13 operational 111:20 operations 63:20 131:13 operator 120:18,19 opportunities 8:24 21:2 opportunity 15:8 18:7,17 80:5 91:9 92:20 93:4 99:14 opposed 101:16	options 18:18 oral 15:18 orange 2:3 3:7 3:11,13 11:10 17:18 43:12 77:25 78:8 124:1 125:20 order 13:6 16:13 52:17,22 82:22 127:1 organ 94:1 organic 50:2 organization 13:25 63:22 97:16 108:18 123:7 organizations 99:12 organize 14:3 organized 13:9 13:12,23 14:12 15:2 99:2 113:14 organs 68:20 originally 18:16 ought 77:18 132:6 outcome 13:24 14:14 outcomes 130:23 outfall 55:22,23 56:7,21 57:16 63:7,12,14	outreach 20:9 20:11 outside 31:12 32:8 44:8 72:23 73:14 77:21 131:17 overall 27:8 overcast 9:4 overheating 107:12 overlapping 49:13 overlay 109:12 127:17 overpacked 107:8 override 86:16 87:5 oversight 31:3 41:5 118:14 overview 31:8 own 12:21 60:23 74:21 85:2 91:15 102:21 104:6,6 108:13 owned 91:12 112:8,16 oxide 109:20
			p
			p.m. 2:11 pack 109:3 package 40:25 41:10,14

[packaging - performed]

packaging 31:17 page 4:9 20:23 117:6 pages 1:20 70:11 paid 83:16 90:4 paint 42:15 paleontological 48:17 pallets 109:20 109:20,23 pandemic 5:18 119:25 panel 2:2 5:6 6:11 12:5 13:21 20:20 21:9 91:11 92:8,14 93:13 93:13,18,25 94:5,7,9 97:14 103:8 104:17 105:16 120:16 121:12,23 122:2,3 134:6 134:15 panels 94:2 113:15 pans 90:1 parameters 70:1 pardon 34:6 45:13 46:13,16 parking 74:13	parks 3:14 78:23 part 16:8 18:17 32:4 46:15 72:20 73:14,24 79:11 80:25 83:12 90:6 93:19 94:13 98:3 102:5 106:7 108:1,2 108:24 110:11 110:24 115:22 120:13 130:2 partially 5:16 participant 92:24 participated 11:3 30:10 101:18 110:6 participating 15:15 16:5 82:20 101:15 participation 15:7 82:7 particle 62:25 66:24 particular 47:22 50:5 52:8 59:1 90:8 114:23 115:4 131:12 particularly 13:2 105:13 particulars 131:6	parties 136:17 parts 68:20 94:2 106:6 112:7 pass 14:23 57:12,25 58:17 passed 18:19 113:18 passes 57:13 68:21 passion 125:22 past 24:9,10 30:13 33:11 43:24 53:12 81:14 92:5 107:15 patience 135:12 patient 6:5 paul 83:24 94:14 106:3,5 115:11,15 116:24 117:16 117:25 118:9 118:11 pauline 11:2 pause 8:18 14:24 pay 12:13 69:9 104:7 paying 41:12 payments 100:10,18 peace 97:15 pedestals 53:19	pending 91:5 pendleton 3:19 78:1,9 penetrate 66:24 67:2 people 8:19 9:5 13:14,21,25 14:10,11 20:16 40:12 46:12 47:3,4,5 60:9 66:8 70:23 71:25 75:15 87:1 90:13 93:20 96:2 97:11,21 98:24 100:6 101:2 113:1,10 114:21 117:8 117:21 118:5 128:20 132:4,8 133:10 134:13 people's 8:11 percent 61:20 116:11 perception 93:24 perfect 9:15 83:8,8 86:13 perform 48:18 55:25 58:12 performance 80:10 performed 55:21
--	---	--	--

[performing - pleased]

performing 48:2 74:20 80:1 perimeter 72:14 117:11 period 4:8 25:2 25:3 27:24 56:22 62:14 125:8 periodically 8:18 9:7 permanent 19:2 86:18 87:7 111:12,18 112:5 113:24 permanently 113:17 permit 8:9 49:3 51:6,6,7,8,11 51:23 52:2,9,15 52:16,18,20 53:6,9 54:17 55:15 57:7,19 permits 51:17 132:7 person 5:15,16 5:21 9:2,12 10:3 14:5 21:16 23:12,22 23:25 29:5 48:8 82:6,14,16 82:18 88:11 95:20 117:19 122:8 128:20 130:11,12,15	133:13 135:11 personal 29:20 personnel 76:13 perspective 44:24 88:12 102:10 peters 13:3 petry 19:23 phase 27:21 32:19 phone 61:5 124:20 photo 40:24 47:17 photograph 48:1 photographs 47:1 51:2 53:16 physical 27:22 30:14 71:1,12 pick 46:7 123:10 picked 94:6 102:2 picture 21:14 35:6 38:12,22 pictures 23:8 31:11 33:19 36:4 108:22 piece 15:21 38:17,17 40:21 105:4	pieces 37:6 38:6,13,20 40:19 44:14 81:7 129:2 130:7 pin 34:25 pint 41:11 pipes 64:22 pizza 99:24,25 105:4 place 30:24 36:8 38:21 78:16 109:11 109:12 111:18 111:19 112:18 114:10 129:12 130:5 136:9 placed 35:24 39:5,9,10 places 98:22 113:23 114:8 plan 73:19 78:13 106:12 106:16 110:10 127:9 132:9 134:12,14 plane 75:22 planet 97:11 planned 18:16 25:20 45:6 127:9 planning 4:2 plans 49:2 78:3 plant 7:24 8:7 12:10,11 14:2	30:18 31:11 44:9 47:16,19 51:14,14 52:13 56:4,6 60:11 61:16 64:12 68:17 71:13,16 73:4 77:4 79:13,13 80:13 87:18 108:20 111:17 120:16 120:20 131:13 131:15 133:7 plants 47:15 72:6 75:19,21 75:23 77:7 79:16 101:20 106:15 113:2 plastic 40:6 plate 33:20 plates 33:21,24 platform 39:10 play 19:6 please 6:5 16:18 21:11 23:11 24:24 25:12,15 26:23 31:8 33:6 34:4 40:1 79:9 85:3 85:4 87:25 88:5 93:8 106:9 107:12 107:18 123:1 128:8 132:17 pleased 17:12 20:3
--	---	---	--

[plus - prize]

plus 59:8 point 3:18 11:6 11:23 35:16 40:15 43:1 45:21,24 50:18 55:17 56:16 62:23 63:8 64:25 65:3 95:7 101:3 107:10 116:13 121:9 123:23 130:24 131:7 131:12,22,22 131:24 pointing 50:4 99:8 100:6 points 14:18 113:11 133:18 policies 12:2 policy 12:23 13:6,15 14:22 112:14,15,21 113:8 political 12:24 politics 99:7 113:10,16 114:7 pollutant 51:5 pollutants 51:11 pollution 48:15 48:23 49:2 pontes 3:24 8:3 43:14,16 44:4 46:18 64:3,8	66:19 67:16,20 67:22 68:3,7,12 68:23 69:5,17 69:19 76:16 77:3 78:11,18 79:5,8 80:24 87:11 95:10 114:14,20 115:21 116:22 120:24 pool 12:1 39:10 59:12 106:18 126:18,21 pools 12:17 59:4,8 62:2,3 106:7,11 107:25 108:20 110:13,15 127:8 popped 129:14 portfolio 123:24,25 portion 32:3 poses 85:25 posing 120:3 position 19:11 20:7,17 25:4 possibility 77:1 possible 72:7 73:11 77:16 104:20 118:23 135:9 possibly 130:17 post 21:17 22:25 60:2	61:3 108:10 110:23 posted 5:11 6:14,16 potential 41:21 potentially 19:1 26:11 pound 50:21 pounds 42:25 power 31:3 51:13 52:12 87:18 97:20,22 practical 50:18 practice 120:15 precisely 101:5 prefabricated 38:19 preliminary 24:20 25:5 preparation 31:25 41:8 119:25 prepared 90:18 92:21 107:13 prescription 57:19 present 16:13 83:25 94:14 130:10 presentation 4:3 6:14 31:4 53:6 80:25 92:18 presentations 8:18 79:12	presented 129:18 presenter 16:9 16:12,16 presenters 4:1 presenting 126:15 presents 44:25 president 3:11 21:13 102:8 103:2 pressure 15:3 pretty 6:21 10:1 20:6 27:19 90:19 97:10 101:9 103:14 117:13 120:15 124:4 124:23 131:21 prevent 38:24 prevention 49:2 preview 6:16 previous 124:9 125:4 previously 30:10 primarily 91:3 principles 14:17 21:19 22:12 128:25 priority 115:10 privately 112:8 prize 97:15
--	---	---	---

[probability - published]

<p>probability 109:9 127:14</p> <p>probably 42:25 54:7 59:19,23 64:4 111:6 112:6</p> <p>problem 41:21 50:8 55:5,18 56:2 57:16 58:7,9,16 67:4 67:10 68:5 127:11</p> <p>problems 77:11 86:24 95:14,17</p> <p>procedure 58:9</p> <p>procedures 30:19 75:23 78:10</p> <p>proceeding 129:10</p> <p>proceedings 136:8,11,15,17</p> <p>process 6:12 7:19 22:4,5 23:7 24:4,5,13 24:18 25:18 26:8,14,17,20 28:3 31:6 36:2 41:17,20 45:6 45:24 55:9 62:7 89:23 92:24 105:9,13 105:14 122:23 127:17 133:21</p>	<p>processed 62:22</p> <p>processes 30:22 48:6 88:17</p> <p>processing 39:11,12,24 63:9</p> <p>produce 117:7</p> <p>produces 56:1</p> <p>products 73:11</p> <p>program 51:18 51:19 57:22 102:18 103:22 117:14 132:3 133:11,12,15</p> <p>programs 7:15 20:15 102:12 127:19</p> <p>progress 7:15 20:18 21:3 24:16 32:19 33:10 35:13 131:1</p> <p>progressed 17:23 23:13</p> <p>prohibited 100:21</p> <p>prohibits 51:10 108:19</p> <p>project 3:23 7:19,21 21:25</p> <p>projects 8:14 26:6</p> <p>prominent 99:11</p>	<p>promised 91:21 104:9 134:3</p> <p>promises 86:20</p> <p>pronounce 17:14</p> <p>properly 63:23</p> <p>property 70:24 71:25</p> <p>proposed 112:9</p> <p>protect 47:14</p> <p>protection 3:24 28:4 30:23 49:10</p> <p>protective 30:24</p> <p>protocol 78:5 127:15</p> <p>protocols 5:15 23:14 107:13 109:6</p> <p>proton 66:20</p> <p>proud 11:14 88:8 97:24 125:20</p> <p>proven 89:19 109:6</p> <p>provide 18:10 18:16 19:3 21:23 50:12 93:16 106:9 107:18 116:14 121:10</p> <p>provided 47:10 102:17</p>	<p>provides 31:8 48:9</p> <p>provision 73:1 74:10</p> <p>provisions 27:17 52:2,13</p> <p>proximity 33:14</p> <p>public 4:8 6:3 6:12 8:21,22,23 15:7,11,15 20:25 22:18 23:20,25 24:11 24:22 40:13 46:15 52:19,25 53:2 60:6,22 73:14 75:14 78:21 82:1,5 84:6,22 85:25 86:2 89:3 91:1 91:24 93:10,15 93:24,25 95:19 97:4,5 98:3,5,6 98:12,15 99:13 100:5,6,8,9 109:7 116:9 117:9,12 118:10,21 121:7 124:21 126:6 130:22 132:10 134:4 135:2</p> <p>published 52:24</p>
--	--	---	--

[pull - ratios]

<p>pull 45:3 pulled 29:16 39:9 43:18 pulling 44:21 pump 63:6 pumped 54:10 pumps 62:21 63:4,5,16 95:15 purports 84:4 purpose 47:23 50:7 72:24 75:7 81:14 121:24 128:21 purposes 101:5 114:25 115:1 push 99:2 put 12:21 13:16 15:2 20:24 39:3 52:19 62:13 101:22 102:10 107:8 117:2,5 118:4 118:21 128:12 putting 38:23 56:7</p>	<p>quarterly 22:24 50:13 55:22,25 57:14 58:1 116:15 134:23 question 15:24 25:14 26:24 34:16 39:1 40:2 41:24,25 42:19 45:17 46:8 67:12 69:6 77:22 81:12 83:11,12 83:12,13 85:6 95:5 101:11 105:25 106:24 107:6,24 108:24 110:11 110:16 111:2 112:7,25 114:16 126:14 questions 14:25 15:8,9,14,17 21:8 23:1,5 30:5 45:10,11 63:24 69:1,19 75:5 81:3,9,16 82:12,15 85:10 85:11,12 89:22 95:21 96:3 103:25 106:3,4 106:5 107:3 111:7,10 114:13 120:1 122:1 123:15 125:13 126:6</p>	<p>127:24 128:4 queue 83:2 quick 25:14 45:17 66:17 95:5 quickly 36:21 64:1 96:12 99:17 104:20 117:5 134:20 quite 8:3 20:9 24:18 37:8 43:7 54:21 65:6 71:2 75:22 95:12 111:1 113:21 118:15 134:4</p>	<p>69:7 85:23 115:23 radioactivity 33:18 60:17,21 61:9,12 62:11 65:7 67:19 70:5 77:14 radiological 21:24 49:23 50:9 60:10 61:1 87:13,16 109:18 114:15 114:17,23 115:2 116:2,6 131:16 radiologically 60:5 rail 32:17 42:20 42:24 43:1,9,16 43:17,20 railroad 124:2 rain 48:16 95:7 95:12 raining 9:17 raise 16:1,7,14 16:20 89:21 102:13 raised 118:12 raising 27:1 ramping 43:7 rate 26:3 56:18 ratepayers 83:16 91:14 ratios 63:14</p>
q		r	
<p>q1 59:24 qualified 94:25 quality 48:25 48:25 51:22 97:25 116:8 117:4 121:20 quarter 5:7 37:6 59:24 61:18 133:9,20</p>		<p>rack 40:19,24 41:8,16 racks 32:5 40:21 41:7 108:22 rad 62:22,23 63:1 radiation 3:24 35:21 61:16 71:7 78:3,16,19 78:25 79:2 115:8 117:11 117:14 radio 62:19 radioactive 12:18 33:13 35:10 52:9 55:11 63:11</p>	

[ray - regulatory]

<p>ray 48:1,2,8 67:1 reach 124:19 reached 125:5 130:21 reactions 16:7 reactor 31:17 31:21 33:9,22 35:9 38:5 59:5 59:8 71:23 73:11 77:7 reactors 33:15 70:21 71:17,21 71:21 72:4 73:7 94:21,23 read 70:19 86:1 87:10 93:3 108:9 readily 116:1 readout 7:11 ready 39:16 46:6 90:22 real 36:21 50:11 64:1 78:18,24 94:16 99:17 128:17 133:17 134:20 realistic 40:11 realize 93:23 realized 13:6 really 9:20 10:20 12:13,19 13:22 15:5 23:19 24:25 28:17,22,25</p>	<p>30:15 37:3 41:12,17,22 42:11 46:25 57:15 65:8,8,21 67:9 72:8 73:23 75:18 80:6 81:12 87:3,3 88:21 90:6 93:19,25 96:12 99:9 100:11 101:11 103:15 104:18 117:9,17 118:6 118:14 124:6 129:22,25 130:14 131:1 135:12 reason 58:24 63:17 105:5 reasonableness 24:16 reasons 75:24 reassured 77:18 rebut 92:20 recall 30:11 receive 24:20 78:23 108:3 received 43:9 52:23 84:2,13 99:19 101:14 102:25 108:17 125:7 recent 19:8 31:5 61:8</p>	<p>70:12 91:2 recently 12:2 49:1 55:21 74:3 86:2 95:7 receptive 92:13 recess 81:19 recirculated 62:14 recognized 12:6 recollection 82:22 recommend 80:6 reconfiguring 59:20 reconvene 82:4 record 86:5 98:4 136:10,18 recorded 2:9 5:10,11 records 86:3 100:5,6,8,9 recovered 29:5 29:24 rectangle 72:18 73:15 rectangular 72:17 recycling 44:15 red 72:16,18 89:21 reduce 73:5 74:4</p>	<p>reduced 55:8 74:15 reduces 62:11 reduction 5:13 58:4 76:14 reductions 76:13 reef 8:13 79:17 79:18 80:1,22 133:1 reference 12:1 16:24 25:14 29:2 99:18 129:8 referring 111:15 reflect 128:15 reflects 136:18 refusal 84:2,13 regard 14:25 122:1 regarding 91:7 107:24,24 112:14 114:15 regional 48:25 48:25 51:21 116:7 regret 130:11 regular 1:1 48:19 49:4,11 regularly 80:21 118:18 regulatory 8:5 49:12 52:11 61:2 71:9 74:6</p>
---	---	--	---

[regulatory - request]

75:17,25 76:3 108:4 109:8 110:8 115:24 reimburse 102:4 reimbursed 101:18,21,23 reimbursement 99:20,22,23 100:1,3,21 101:17 102:1 104:8 reiterate 75:15 relate 118:12 related 8:5 134:8 relates 30:14 41:4 relations 94:1 relationship 123:6 relatively 54:14 66:11 relax 76:4 relaxation 130:4 release 54:16 54:24 55:9,15 59:18 60:3 61:15 62:20 71:23 73:10 77:14 109:18 131:17 released 54:22 54:23,25 59:13	60:4 61:19 62:21 64:2 65:16 77:21 115:22 releases 8:10 55:2 59:4,10,17 59:22 60:2,8 61:22 64:13 65:17 66:23 releasing 59:16 60:7,7 65:7 67:7 relevant 113:4 reliable 114:9 relocate 28:2 rem 71:9 remain 76:17 76:17 126:7 remainder 25:21 remaining 38:7 remains 30:8 33:2 remarks 117:24 118:20 remember 14:1 73:15 119:23 remind 5:9 89:3 110:2 reminder 22:13 remote 109:25 136:16 remotely 109:10 136:9	removal 32:5 50:16 54:12 55:8 70:23 106:10,14 108:2 remove 35:23 65:12 71:25 75:3 removed 40:20 41:15 73:18 76:18 92:15 104:20 106:7 108:1,22 122:2 122:4,8 removing 31:21 36:2 39:13 rempp 69:24 renewal 8:8 52:16 rental 27:18 repackaged 41:16 repacking 106:17 repairs 106:18 repeat 57:24 84:11 repeated 119:24 replaced 69:16 replies 125:1 report 49:7 57:6 61:1 70:2 73:2,3 100:13 115:25,25	116:2,14 reported 1:17 49:24 60:25 115:24 136:16 reporter 136:3 136:6 reporting 52:5 61:12 69:24 116:7 reports 50:13 61:3 115:14 116:15,15,15 116:16 117:4 repository 86:18 87:7 111:12,18 112:5 113:25 represent 121:4 125:20 representative 3:10 19:4,8,10 19:16 123:5 representatives 3:20 7:13 94:7 121:8 represented 88:9 representing 88:13 90:13 reputation 88:15 request 74:4 78:8 83:23 100:9 106:13 106:13,16
---	---	---	---

requested 87:22 requests 76:2 require 109:21 112:17,21 required 23:18 23:21 51:8 55:9 71:2 72:3 73:6 79:15 110:7 126:22 requirement 74:6 87:6 126:25 127:6 requirements 49:16 51:24,25 52:5 76:17 79:20 130:4 research 100:22,23 116:12 resident 83:10 resin 62:8 resonated 129:8,23 resonating 132:14 resources 18:10 22:24 48:17 respect 27:17 116:4,5 121:17 respected 92:23 responding 15:11 response 78:2 78:10 83:22	84:1,2,14 96:7 responses 78:13 84:17 responsibilities 49:14 responsive 117:14 119:4 rest 9:6 27:6 87:22 132:20 restart 90:19 resting 112:18 restoration 8:13 28:6,8 restore 79:18 restored 80:8 restores 73:13 restraint 29:13 result 50:23 57:6 77:13 79:14 97:17 131:16 resulting 71:8 results 49:24 50:14 57:4 61:8 70:4,12 90:7 115:9 132:5 rethink 113:8 retired 103:20 retreating 9:14 retrievability 84:18 retrieving 106:17	return 28:13 returned 29:20 reveal 91:2 review 16:21 22:5 63:25 108:12 reviewed 125:6 reviewing 74:20 revitalization 124:3 rey 3:8 rick 32:15 rid 73:8 rigged 38:2 right 10:23 14:6,7 15:12 25:4,18,23 28:25 29:17 31:15,15 32:20 33:2,8 34:12 35:15 37:10,21 38:22 39:20,23 42:6,10,11,23 42:24 50:3 64:8,11 67:20 68:13 76:19 81:18 89:1 93:22 107:5 127:12 rightly 134:5 rise 61:22 rising 27:7 risk 5:13 45:1 84:20 118:16	119:18 131:18 131:21 risks 76:4 96:25 118:16 road 96:18 113:3 rob 3:10 robotics 109:5 127:16 robust 27:9 40:10 rock 107:10 rocking 7:6 rods 36:25 109:19,19 rogers 19:17 role 6:10 19:6 rolling 46:25 90:23,24 ron 3:24 8:2 22:7 43:14,15 43:16 44:4 46:17,18 63:25 64:3,8 66:19 67:16,20,22 68:3,7,12,23 69:5,17,19 76:12,16 77:3 78:11,18 79:4,5 79:8 80:24 81:4 87:11 95:10 104:1 114:14,20 115:20,21 116:22 120:24
--	---	--	--

<p>121:15 room 6:1 16:23 routine 48:2 58:3,18 routinely 48:24 49:9,14 80:15 rub 9:19 rules 15:6 running 6:18 48:14 63:3 runoff 48:15 rvi 33:9,12 35:7</p>	<p>61:8 65:3 87:14,16 104:3 sampling 54:17 55:13 70:12 87:12 114:24 san 2:1 3:2,8,16 7:17 8:13 11:5 11:19 14:2 17:4 24:7 43:13,25 48:23 48:25 51:21 76:23 77:18,25 78:9,22 79:22 80:3 83:11 86:1 88:7 90:8 97:19 98:10 105:3 106:11 108:15 116:7 121:8,19 123:8 sand 10:16 43:5 60:19 70:2 santa 79:24 sat 96:21 saturday 22:16 22:18 saw 7:5 34:7,8 34:11 41:5 46:20 50:16 53:16 94:10 saying 29:8 77:1 says 25:24 36:22 57:8 81:14 93:15 110:12</p>	<p>scale 34:7 66:13 90:10 sce 3:20 4:1 99:19 106:12 107:16 115:8 123:9 sce's 107:18 scenarios 131:14 scenes 135:9 schedule 131:5 scheduled 53:2 124:9 school 3:4 schools 102:20 science 95:2 131:18,20,20 scientists 79:24 scope 75:25 scores 113:22 scott 3:14 13:2 screen 16:8 34:22 35:1,1 scripps 56:13 92:18 96:22 134:24 sds 63:21 69:8 sea 10:23 56:12 56:15,16,18,19 58:22 60:15 74:16 129:16 sealed 40:25 107:8 search 108:13 108:14</p>	<p>seats 16:25 second 20:4 24:8 28:20 39:12 57:8,9,18 57:21 58:17 97:7 108:1,24 118:7 130:24 131:7 133:9 seconds 93:1 secret 98:12 132:20 secretary 3:3 14:9 19:24 sector 3:14 secure 18:1 security 71:1 71:13 sediment 60:18 70:2 see 8:14 14:24 15:13 16:11,15 19:12 22:15 23:9 27:1,6 34:23 38:7,12 40:19 44:12 45:11 46:8,25 47:6,17,25 48:7 49:19 50:1,4,20 51:1 56:1,17 58:24 59:12 60:16 61:11 63:14 64:11 70:11,25 71:16 72:11,16,19 74:12 78:24</p>
s			
<p>safe 134:10 safely 12:12,14 27:25 28:2,21 104:19 127:2 safer 45:1 safety 5:14 21:19,20,24 29:13 30:8,25 44:24,25 76:13 76:15 129:1 130:4 131:10 salt 56:5 63:4 sam 3:19 sample 49:23 54:18 55:10,25 56:4,6,9,12 57:9,24 70:10 114:17 sampled 62:18 samples 56:10 56:12,24 57:25 58:2 60:21</p>			

[see - simply]

82:19 88:8 90:1 93:19 96:20 99:11 105:1,8 115:9 116:20 117:8 121:15 123:25 124:8 125:7 128:14,20 seek 73:5 seeking 100:23 seem 10:2 27:2 29:4 88:17 131:6 seemed 128:15 seems 129:9 131:21 seen 25:8 28:24 89:2,20 segment 88:13 segmentation 33:8,20 35:7 segmented 35:17 segments 33:12 33:24 35:23 38:14 seismic 92:17 96:25 senate 13:1 senator 17:3,9 21:4,7,9 135:14 send 12:22 22:25 56:10 57:10 114:10 118:2	senior 122:12 sense 29:1 34:6 132:9 sent 69:16 83:18,21 96:14 98:1,2 separator 54:11 september 55:16 series 19:21 serious 29:4,6 29:25,25 30:1 84:19 serve 17:24 124:12 125:14 service 32:11 94:8 100:15 110:4 124:17 services 10:14 serving 19:10 19:17 set 21:19 62:23 75:20 76:5 93:22 112:25 136:10 several 17:15 96:2 118:21 sfs 7:3 shape 12:11 61:13 72:17 share 25:9 124:11 sharing 34:21 34:25	shell 37:11 39:5 39:6 shells 37:11 39:6 sheriff's 3:7 shielding 35:19 35:21,22 42:8 74:24 shift 7:25 shifted 113:16 113:17 shifting 114:8 shifts 5:14 ship 36:9 43:11 shipment 41:6 41:8,18 shipments 32:14 43:7 shipped 33:25 40:21 41:1 42:25 43:9 104:4 shipping 32:16 shirt 104:9 shoreline 64:15 short 88:24 89:13 133:22 shorthand 136:3,5,11 show 6:18,21 44:17 49:18 68:6 70:12 78:25 showed 86:3 108:21	showing 35:7 38:1,22 shown 32:24 35:14,15 82:6 shows 32:19 35:13 36:2 38:11 shrinking 131:10 shroud 35:8 38:8,13,16 shrouds 35:16 shut 84:24 side 13:1 50:3 64:11 74:12 84:8 114:21 sides 26:16 sierra 3:15 sight 8:6 sighting 18:12 sign 8:23 15:18 21:4 87:22 97:24 signature 136:24 signed 48:21 82:10 87:23 similar 36:23 55:11 106:14 111:8 113:21 simple 61:6 70:3 simplify 61:4 simply 94:23 109:4
--	--	---	--

[sincerely - sounds]

<p>sincerely 11:4 single 97:12 98:15 sit 46:6 site 18:14 19:1 21:3 22:21 27:23,25 28:21 36:11 41:18 43:17,19,19,25 44:2 47:2,3,9 48:10,14,24 49:1,9,14,22 50:6,25 55:10 55:23 56:11 59:6 60:11 64:21 66:2 71:3 72:19,20 76:14,19 77:14 95:11,16 96:1 106:19 109:18 110:21 115:1 sites 20:8,12 siting 18:11 111:17 sitting 44:12 45:4 92:12 122:20 situation 55:3 58:25 84:11 109:2,4,16,24 111:24 114:11 126:16 six 57:25 58:2 59:19 119:23 119:25</p>	<p>size 34:7 74:4 skies 9:13 skin 66:25 skipping 120:10 slaughtered 81:15 slices 99:24 slide 6:18,20 14:22 17:1 21:11 23:11 24:3,4,24 25:12 31:7,8 32:18 33:6 34:4 35:12 36:1 38:1,4,10 40:1 40:23 42:3 44:7,16 46:23 47:17,25 49:17 50:15 51:3 52:8,15 53:10 53:14 55:20 59:2,12 62:1 64:9,10,10 65:11 68:25,25 69:2,20 70:7,14 70:20 71:1,14 71:15 72:12,25 74:1 79:8 81:2 82:4,4 87:11 114:14 128:8 129:5 132:16 134:19 slides 4:3 22:6 25:11 46:22</p>	<p>47:7 49:19 79:6 114:18 slip 104:7 130:9 slow 105:13,14 109:15,24 slowed 43:10 slowly 5:19 small 40:18 61:5,24 62:24 65:5 67:8 74:12 79:3 104:1 129:15 smaller 74:7 smart 103:9 sneaky 76:10 soil 47:15 87:16 solar 90:9,10 101:2,3 sole 47:22 solicit 8:19 solid 109:24 solids 54:13 55:13 solution 107:11 114:1,2 117:24 solutions 7:2 17:13,15,24 18:1 19:5 20:3 20:23 63:21 83:20,22 84:15 101:4 113:25 124:13 126:4 130:20 133:25 solve 127:10</p>	<p>somebody 12:22 115:15 118:2 122:16 122:22 133:18 someplace 12:23 somewhat 37:2 64:24 songs 1:2 6:17 18:2 30:18 43:1,25 52:12 57:3 63:20 66:9 84:18 106:8 107:13 123:23 124:3 songscommu... 21:22 22:14 108:11 117:3 118:5 songscommu... 6:16 soon 104:10 sorry 9:12 25:11 34:15 35:3 37:23 81:3 93:8 111:5 115:3 124:6 sort 25:9 76:25 112:6 sorts 27:18 sound 40:11 sounds 40:9 76:10,23</p>
---	--	---	---

source 117:3 south 3:14 43:13,20 125:20 southeast 44:8 southern 3:20 5:15 84:16 91:4,20 92:3 93:21 94:1,15 102:3,9,15,25 103:21 129:19 135:8 space 52:19 span 48:11 speak 16:6,16 16:19 82:8,14 82:21,22,23 85:14 87:22 115:12 126:8 speaker 83:2 85:17 86:10 speakers 125:4 speaking 16:2 special 80:23 specific 51:25 111:13 specifically 102:19 135:1 spend 24:10,16 26:13 spent 7:1,14 12:1,6,17,20 13:15 14:21 17:5,13,14,16 17:24 18:1,9,11	19:5,6,25 20:3 20:12,14,22 26:10,18 30:15 32:6 36:7,8,14 36:18 37:12 39:5 40:17 45:23 46:6 59:4,7,11 62:2 73:9 76:23 83:19,21 84:14 84:18 99:3 104:19 105:8 106:7,10,17,18 107:25 108:20 110:13,14 114:10 124:13 126:17,20 127:8 130:19 134:9 spentfuelsolu... 20:21 sperm 56:19 split 60:21 splitting 5:22 spoke 106:2 spotting 41:13 sprayed 42:15 stable 109:21 staff 24:15 84:16 104:2 123:22 128:11 135:7 staffer 125:11 stakeholder 4:2	stakeholders 121:4 stand 35:18 standing 114:21 standoff 74:6 74:23 standpoint 22:23 stands 33:9 star 10:23 16:18,21 82:22 start 9:17 16:1 30:7 31:21 39:11 44:17 65:6 93:4 99:5 started 24:25 59:5 starting 32:2 59:11 79:19 90:13 113:12 starts 47:3,8 state 2:3 3:14 19:17 49:5 51:20 74:10 78:22 80:21 93:8 111:24 120:18,18 136:6 statement 92:5 112:8 states 48:20 49:10,12 51:16 station 121:14	status 16:12 32:11 staunch 93:20 stay 16:19 36:11 63:22 69:22 76:19 114:7 stays 134:10 stenographic... 136:16 step 39:3 88:1 stephenson 4:4 steps 41:19 stetson 3:6 5:21 9:1,6,10,19 11:18 15:4 21:6 25:13,17 25:24 26:5,21 26:24 29:2,10 29:23 30:3 34:5,10 36:21 37:8,13,16,19 37:23 39:18,22 40:2 41:23 42:1 44:5 45:11,13 46:8 46:13 63:25 64:5 66:16 67:11 75:9 76:12,20 77:22 78:15 79:4,7 80:17 81:1 82:3 83:1,6 85:9,20 86:8,13 87:20 90:20
--	---	---	--

[stetson - surrounded]

93:7 95:3,18 99:16 101:10 105:17,20,24 106:22 111:4 115:17 122:5 122:25 123:9 123:17 125:17 125:25 126:5 126:11 127:22 128:2 129:4 132:16 134:18 stewardship 1:2 8:1 21:19 22:2,9 46:21 119:6 129:1 132:24 stock 79:18 stop 57:13 58:1 58:18 63:1,16 63:18 stopped 55:2,4 73:17 storage 18:9,12 18:14 19:2 28:23 30:15 36:13 39:17 45:23 72:5,15 73:10 75:1 77:13 85:24 86:23,25 94:19 95:13 108:6 110:18,21 112:16,18,19 113:20,24 133:15	store 32:6 36:13,25 stored 43:21 74:25 104:19 127:2 storing 36:3 storm 48:14 49:2 95:10 story 26:17 straight 75:24 strategic 4:2 strategies 119:16 strategy 75:19 97:18 113:8 stratum 68:15 stream 130:9 streamed 78:20 streams 26:22 28:16 33:7 stress 83:14 struck 131:1 structure 32:12 33:23 35:9 38:15 131:2 structured 26:3 structures 27:23 28:17 30:21 32:22,25 53:20 54:4 stuck 114:1 students 97:19 102:12,19 studies 90:7	study 27:19 97:9,12,13,20 111:20 stuff 87:1,14 125:1 stunned 96:16 subject 70:15 submit 15:8,17 submitted 87:9 95:22 106:5 115:7 subscribed 136:21 substances 49:8 114:25 success 27:3 successes 128:22 sudden 9:22 10:3 sufficient 43:18 43:22 suggest 77:17 suggested 104:12 suits 42:8 summary 14:15 132:1,7 133:22 summer 31:19 36:20 44:11 45:20 131:4 sump 53:25 95:15 sumps 54:5,11 55:7	superintendent 3:14 supervisor 3:13 7:2 10:13,19 11:3,10 17:7,10 17:18 18:3 124:6 135:13 supervisor's 124:17 support 4:1 12:25 103:22 supported 60:9 supposed 29:14 49:15 93:14,14 suppressed 91:25 sure 9:3,22 10:25 12:8,12 25:16 35:2 45:2 48:21 49:6,15 50:7 63:23 92:14 96:9 107:4 110:9 116:8,11 118:4 120:2 128:10 129:20 134:14 135:3 surfrider 65:2 104:2,9,14 surprise 99:9 surprised 96:12 96:13 surrounded 38:14
---	--	--	---

[surrounding - testified]

surrounding 8:9 70:20 71:7 84:7 87:18 surrounds 35:9 38:16 survey 47:21 suspended 54:13 55:13 sweden 7:14 17:20 20:11 system 26:7 27:1 29:13,14 36:13 39:14 51:5 54:11,12 54:14 55:8 62:6 63:17 65:10 76:2 77:19 78:16,19 79:1 95:11 106:19 108:14 110:7,20,20,20 110:21 117:11 systems 30:21 31:25 97:20,22 108:6 110:18 110:19	62:9 63:10 65:11 67:16 70:11 81:18 88:5 89:16 90:7,8 100:19 100:20 101:4 103:1,5 104:2 107:20 115:21 116:22 124:8 takeaways 117:6 129:7 130:16 131:23 132:13 taken 33:1 39:16 43:23 44:14 67:24 136:8 takes 43:20,20 56:11 57:5 128:13 talk 7:14 14:4,5 14:19 21:18 22:6 27:5 31:4 31:10 46:20 51:4 53:11 65:25 71:5 72:9 91:6 92:1 97:2,3 99:14 111:14 113:10 117:18 119:15 130:13 131:20 133:6,14,19,25 134:16 talked 14:16 30:11,13 53:21	65:10 69:22 70:8 79:10 96:17 118:17 121:16,21 talking 14:18 17:20 32:15 70:15,16 111:13 131:21 133:18 tank 62:4,5,13 62:14 tap 91:12 tape 15:21 targets 80:10 80:11 task 41:22 taylor 3:16 team 9:21 10:9 41:7 129:6 teams 1:4 2:10 3:2 5:1 34:21 78:3,5 tearing 53:18 technical 4:1 84:15 86:21 87:4 technically 73:24 100:16 technology 109:7,11,12 119:12 tell 31:12 56:3 57:7 59:18 61:10 66:9 130:22	tells 73:4 temperatures 109:22 tempo 59:17 tenants 124:16 tendency 64:4 tennessee 19:9 tentative 52:17 term 12:16,19 69:23 88:24,25 89:13,13 119:6 terms 10:6,11 13:18 28:10 52:3 60:5 61:16 94:17 99:18 127:14 130:16 terrific 13:19 118:1 territory 100:15 terrorism 127:25 terrorist 119:18 test 55:21 56:16 56:16 57:1,4,9 57:12,18,21 58:17,24 87:12 115:9 129:16 132:5 tested 87:16 testified 24:14 24:15
t			
t 104:9 tab 102:3 table 122:21 take 12:22 17:8 44:19 56:3,6,8 56:9,19 57:8,9 57:23 58:12 59:25 61:8			

[testify - three]

testify 24:14,15 26:9	106:25 107:22 111:4 114:11	24:6,17 26:10 26:12 27:12	115:13 116:9 117:2,8,13,17
testimony 25:1 25:25	114:12 116:25 125:19,24	36:5 48:21 67:23,23 72:23	117:23 118:8 119:21 120:13
testing 23:18 23:21 55:22 57:22 68:4 114:15 115:9 132:3	126:13 128:1,2 128:3,11 129:4 132:15 134:17 134:20 135:5,6 135:7,11,14	88:15 89:1,3,4 89:18 90:22,24 96:11 97:2 98:17,23 101:18,23,25 113:23 115:13 117:15 118:7 118:11 119:2 121:7 127:18 129:8,14 130:13,17,17 133:16 135:3	120:18 121:1,3 121:9 123:14 126:5,15 128:1 129:22 130:16 130:22 131:25 134:5
tests 57:3 58:21 114:18	thankful 126:2 thanks 9:17 10:8 17:11 24:2 32:18 40:14 69:18 78:11 111:5 128:10 129:3	think 6:8 11:25 26:10 29:8,19 34:13,17,24 40:6,8 42:24 43:8 45:9 46:11 53:12 59:10 60:1 64:9,17 65:4,14 65:14 67:11 79:9,10 80:24 81:1,1,4,5,9 88:12 90:2,16 91:8 93:2,14,18 94:12 95:24 96:13 97:10,12 101:2,8 106:23 110:15 111:3,7 111:8,19 113:3 114:9,14,17	thinking 23:14 103:3 118:23 122:10 third 36:14 39:15 56:12 98:7 107:15 110:11 131:8 131:22 133:20 thoroughly 42:14 88:16 thought 23:18 95:6 thoughts 125:18 three 9:21,25 22:3 24:5,10 28:23,24 32:7 33:13 36:15 38:13,14 41:19 56:20 59:10 62:15 77:12,13 78:20 82:23 83:12 87:23 92:21 106:6 107:1,3,20
texas 34:1 36:10 69:16 112:9 113:21	theme 7:25 thereof 136:14 thermally 77:9 thick 35:24 37:7,16,18 39:3 thicker 37:2,9 thickness 36:24 thin 23:23 thing 6:6 21:25 24:9 52:7 59:3 61:14 63:2 64:5 65:9 66:7 75:3 98:14 119:7 130:2 131:15 things 8:4 10:11 12:7,8,12 12:13 14:16 22:22 23:8		
text 14:15			
thank 5:22 6:2 6:17,18,25 7:7 9:10,20 10:13 11:1,2,4 12:3 13:2 15:4 17:8 21:5,6,15 26:21 27:4 28:14 30:3 34:19 39:22 42:17 44:3 46:1,18 68:8,22 75:10 76:20 79:4 80:24 81:4,7,8 82:3 83:2,6,8 85:14,21 86:7,8 87:19,20 88:6,9 88:10 90:20 93:6,7 95:2,3 95:18 96:10 99:16 101:9,10			

[three - tricky]

113:13 117:15 118:7 128:24 130:1 131:16 thursday 2:11 5:2,6 6:15 thyroid 68:18 tickets 101:23 tide 64:24 ties 86:4 96:4 97:8 tightly 38:21 time 9:24 14:6 15:20 22:2 26:18 29:7 30:2 38:8,17 47:20 48:1 50:11 53:9,15 56:22 57:2 59:23,25 62:14 66:22 69:14,14 75:16 78:18,24 80:12 81:9 85:7 92:14 94:21,22 96:19 97:1 99:10 102:9 106:20 108:5 109:16 125:23 128:17 136:9 timeline 24:25 times 12:15 40:13 118:21 119:9 127:21 127:24 130:1 130:18	timing 45:17 tiny 47:18 61:21,21 65:8 title 17:9 19:25 102:20 tn 39:20 110:20 today 5:6 17:11 39:24 40:5 52:21 77:12 79:1 99:24 124:7 130:23 today's 132:2 together 13:16 41:11 66:22 88:22 89:12 99:10 133:6 told 24:11 84:15 tom 13:20 tomorrow 104:13 ton 44:21 tonight 5:23 6:4,21 7:5,25 23:10 83:14 86:6 105:23 121:16 122:21 128:12 131:11 took 55:4 119:17,23 129:12 132:13 top 16:8 30:8 37:20 39:3,15 63:22 115:10 122:11	topic 8:11 134:7 topics 92:2,10 92:10 118:10 118:12 total 46:3 54:12 55:13 totally 127:4 touch 132:18 tough 113:3 tour 22:16,18 toured 101:19 tours 22:15,21 134:24 toward 23:16 towards 31:3 43:20 town 88:8 toxic 49:8 114:24 toxicity 56:2 58:4,7,15 track 129:10 tracks 124:2 tractor 41:1 44:20,20 tradeoffs 134:16 trailer 41:1 44:20 trained 107:13 training 47:8 47:10,12 48:9 trans 110:20	transcribed 136:12 transcript 1:12 2:9 136:17 transcription 136:14 transfer 39:7,8 43:5 106:18 108:4 126:18 126:22 transferred 32:6 36:19 39:17 108:6 transferring 108:19 transition 125:8 translates 51:23 transparency 124:17 transparent 129:19 transport 42:21 86:25 transportation 123:25 travel 43:24 treatment 51:14 tremendous 12:25 74:24 tribune 86:2 tricky 16:4
---	---	--	---

[tried - updates]

<p>tried 127:13</p> <p>triennial 22:4</p> <p>tries 58:9 62:25</p> <p>trigger 77:6</p> <p>triggered 117:16</p> <p>trip 63:1 104:9</p> <p>tritium 65:12 65:13,14,15,21 66:6,10,17,19 67:5,14,17 68:13,20</p> <p>troubled 115:11</p> <p>troubling 89:7</p> <p>trust 22:5 24:3 24:7 26:8 27:13,21 28:11 83:16 89:17,24 91:15 96:17,17 99:11</p> <p>trustee 3:3,5</p> <p>trustees 3:4</p> <p>try 6:5 20:10 20:24 35:1 61:4 77:3 99:2 99:10 103:15 121:7</p> <p>trying 14:13 15:1 44:24 90:2 94:8 105:6 120:7</p> <p>tss 54:13,20 55:8</p>	<p>tsunami 84:19</p> <p>tsunamic 118:16</p> <p>turbine 32:10 33:2,3 44:9,21 53:17,18,23,25</p> <p>turn 82:21</p> <p>turned 14:16 14:17 117:13</p> <p>turnover 62:15</p> <p>two 12:9 15:12 20:12 24:6 27:12 29:12 31:13,23 52:13 53:11 57:23 59:7,8,17 66:20 71:17,20 72:22 94:12 96:15,18 99:11 106:7,10 107:25 112:8 114:17,18 115:13 121:8 129:14 130:1</p> <p>type 76:14</p> <p>types 17:21 51:1 77:19</p> <p>tyson 14:10</p> <tr> <td>u</td><td></td></tr> <tr> <td> <p>u.s. 28:3</p> <p>uc 97:19</p> <p>unable 16:11</p> <p>unaddressed 84:23</p> <p>unchanged 6:10</p> </td><td></td></tr>	u		<p>u.s. 28:3</p> <p>uc 97:19</p> <p>unable 16:11</p> <p>unaddressed 84:23</p> <p>unchanged 6:10</p>	
u					
<p>u.s. 28:3</p> <p>uc 97:19</p> <p>unable 16:11</p> <p>unaddressed 84:23</p> <p>unchanged 6:10</p>					

 under 16:7 39:7 52:12,13 92:19 108:14 113:22 127:19 136:12 **undermines** 89:24 **underscore** 76:9 **undersigned** 136:5 **understand** 42:20 66:14 81:6 84:4 89:11 115:7 126:17 130:2,3 136:19 **understanding** 29:18 68:24 75:14 79:19 106:6 107:6,25 **understood** 40:14 **underway** 113:8 **unfortunate** 91:17 **unfortunately** 80:9 **unified** 3:4 **unintelligible** 126:10 **union** 86:1 **unique** 88:12 | **unit** 32:10 33:2 33:3,21 34:2,3 35:13 36:16,17 38:2,8 39:25 40:19,22 44:9 45:7 50:17 53:18 59:4,11 59:21 64:14 71:17,17 **united** 49:9,11 51:16 **units** 35:17 36:19 **university** 3:2 79:24 98:5 100:14,19 **unprecedented** 119:10 **unrestricted** 73:13 **unstable** 66:21 **unusual** 58:23 **unwanted** 38:24 **update** 7:16 8:12 9:18 12:1 14:21 17:5,12 27:4 28:19 131:24 132:25 133:20 134:7 **updates** 6:23 7:23 10:11 19:3 21:22 22:25 30:7 |

[upper - want]

upper 33:23 upset 77:6 urchin 129:17 urchins 56:15 56:16,18,19 58:23 use 14:18 16:18 16:21 40:5,7 56:15,16 127:17 used 31:5 32:5 33:4 36:24 80:19 114:9 using 16:20 39:14 42:20,24 44:20 53:20 136:11 utah 36:10 41:2 42:14 43:2,23 44:1 utilities 24:11 24:22 90:10 96:5 utility 26:3 86:4 91:12 94:6 121:11 utilize 28:8,9 utilized 112:20	value 28:11 130:10 valve 63:18 varies 64:23 variety 46:22 121:4 various 13:10 112:10 122:18 130:20 vary 120:18 vault 29:15 vehicle 27:14 28:11 vendor 119:12 vendors 119:14 verbatim 136:10 vermont 98:21 vernon 3:8 vessel 31:17 33:9 vessels 31:21 vice 3:5 9:1 21:13 103:18 victor 3:2 5:4,5 9:16 11:19 12:3 26:25 28:14 34:13,17 34:24 35:5 45:15,21 46:1 69:2 75:10 84:2 86:3,6 89:18 91:19 92:4,8,13,19,22 93:6 96:3,6,9	99:21 105:2,19 105:22 112:22 112:24 116:23 116:25 122:7 122:25 123:2 123:12 130:8 132:19 victor's 91:2,7 video 2:9 44:17 44:18 videos 46:19 view 35:1,2 50:18 121:9 views 8:19 120:3 villar 3:18 11:24 34:18,19 35:3 vince 7:20 24:14 28:19 30:4,6 34:6,8 34:12,15 35:6 36:21 37:1,10 37:14,17,21,24 39:20,23 40:9 40:14 41:23 42:6,10,23 43:6 43:15 44:6 45:20,25 46:3 81:8 108:21 133:23 vincent 3:22 virtually 5:20 10:7 82:20	visit 49:5,14 80:5,7 visits 22:21 48:19,24 49:4 49:11 visual 9:21 10:8 128:13 vital 28:22 volatile 50:2 volumes 62:15 volunteer 5:5 98:16 101:7,14 volunteering 103:8 volunteers 93:23 104:23 121:2 vote 24:22 voted 104:13 votes 13:5
w			
vaccines 131:19 vacuum 39:14 validates 24:6 validation 78:6 validations 23:18			wait 56:22 127:10 waiting 25:4 walk 46:21 73:16 walker 86:10 86:12,14 87:10 111:10 114:13 walking 22:18 walkway 73:16 wall 37:7 74:16 want 5:9,22 6:2 6:17,20,25 7:6 8:16,19 9:20

[want - wells]

10:13 11:1 12:3,4,6,7,7,12 12:13 13:2 14:22,23 16:6 17:17 19:3 26:7 27:3 35:18,20 43:14 46:24 52:7 53:10 69:9 70:4 75:11,15 77:24 80:16 81:13 85:14,16 89:16 101:11 107:2 110:2 112:24 116:24 117:25 121:13 121:22,23 122:5 125:10 127:23 128:4 128:11,15 130:14 131:7 132:12,18 134:19 135:5,6 135:7 wanted 25:9 26:25 76:9 83:22 86:14 93:11 118:7 124:11 126:14 wants 118:10 warming 97:10 washington 9:4 9:5,17 14:4,7 14:20 19:17 105:11	waste 3:24 8:10 19:25 32:14 33:13 36:3,5,9 42:13,21,22 43:1 69:10,12 85:24 86:20 112:5,14,15,20 watch 20:19 79:23 watchdogs 91:1 93:10 watched 98:18 watching 34:21 46:12 86:19,20 98:24 water 35:23,24 39:7,9,13 41:9 41:15 47:15 48:14,15 49:2 50:24,25 51:9,9 51:11,14,20,21 51:24 52:17,22 52:23 53:7,7,22 53:24 54:1,2,5 54:6,10,11,13 54:18,18,24 55:1,3,7,10,11 55:14,24 56:1,4 56:5,7,12,13,18 57:16 58:11 59:7,13 60:4,15 60:17 61:19 62:2,3,10,13,16 62:18,21,22 63:4,6,11,11,13	64:19,21,23,24 65:5,12,13 66:2 66:5,7,10,11 67:8 68:13,14 70:1 87:14,16 95:11,16 115:2 115:8,9,14,22 116:3,8,16 117:4 121:20 waters 51:16 way 6:8 44:1,19 45:3 50:24 53:22 54:23 61:18 65:22 75:13 76:5,11 77:4 80:4 89:14 93:22 96:18 97:23 98:23 99:6 105:15 116:10 117:8 119:10 119:25 ways 13:4,10 122:18 wcs 34:1 we've 9:13,25 10:11,12 12:25 23:13 31:16 42:24 49:21 53:11 58:19 59:10 64:1 67:23 82:16 89:2 95:7 96:18 98:23 104:2,3 109:6,7	114:7 117:9 118:17 119:2,9 120:7 121:18 121:19 123:15 124:15 125:6 134:25 wearing 10:23 29:13 web 20:23 120:5 webinar 7:12 19:21,22 20:4 webinars 20:23 website 15:13 21:22 22:15 23:1,2 53:1 60:3 61:3,7 70:3,9 108:8,11 108:14 110:23 116:1,10,21 week 6:15 22:17 66:24 weekly 50:12 weeks 57:5,22 57:23,23 59:19 weighed 118:15 welcome 8:17 9:11 11:7,9,19 11:22 44:4 79:5 104:25 welded 37:20 39:15 welding 39:12 wells 49:22 115:1
---	--	---	---

[went - zoom]

went 9:23 10:17 25:1,17 29:16 45:5,6,7 55:4 101:19 102:2,17,21 103:10 123:10 west 112:9 wetland 80:8 wetlands 8:13 80:4 whatsoever 78:13 84:1 95:14 wheeler 8:12 80:22 133:1 whereof 136:20 whistle 89:5 widely 97:4 wife 81:14 103:10,11 105:17 willing 94:15 willingness 6:2 witness 136:16 136:20 won 97:15 123:11,12 wonder 21:8 wondering 87:14 woods 104:4 word 57:14 wording 40:4 words 7:8 22:3 24:4 30:8 40:5	40:7 46:24 work 10:2 21:21 26:22 28:16,18 29:17 29:20 31:9,15 31:18 32:1,4,8 33:7 34:1 39:10 47:4,24 50:18 77:19 80:10 97:21,25 100:25 101:1,8 104:11 107:11 113:18 126:3 worked 99:10 102:8 105:10 worker 29:16 29:17,19,19,21 41:12,21 47:9 47:10 50:1 workers 29:4 29:12 38:23 45:1 47:9,13 48:10 107:13 working 6:8,9 8:14,15 9:25 13:16 14:13 27:1,2 63:23 101:9 102:7 works 56:3 world 20:17 134:16 worried 99:22 worries 35:5 worth 131:25	wrap 79:9 wrapped 40:24 write 81:12,16 91:15 written 15:17 85:10,11,13 107:1 wrong 34:22 55:5 89:2,4 98:13 109:2 wrote 100:12 y yard 34:10 43:17,21 yeah 21:18 26:18 29:11 34:8 37:7,25 42:2 43:15 45:25 67:13 69:17 78:18 88:6 103:3 112:24 115:3 115:21 year 14:1 18:7 18:20 22:3 23:15,15,16,24 24:5 25:1 29:9 29:10,11,12,12 31:9 32:2,17 33:5,11 45:20 47:20 49:11 58:12 59:5 61:17,21 71:10 75:4 100:10 102:12,14	110:3 118:21 119:5 129:13 132:20,22,23 132:25 134:2,7 134:12 years 9:21,25 10:15 24:10 28:8 32:7 80:13 91:18 92:6 94:20 100:10,11 102:8,9 103:11 105:11 110:4 117:20 yellow 64:12 z zone 131:9 zoom 9:24,25 17:19 18:5 79:23
--	--	---	--